

1 TECHNICAL GUIDELINES DEVELOPMENT COMMITTEE

2 MEETING DAY ONE

3 NATIONAL INSTITUTE OF STANDARDS & TECHNOLOGY

4 THURSDAY, MARCH 22, 2007

5 (START OF AUDIOTAPE 1, SIDE A)

6 MODERATOR: I just want to take a check here first
7 to see if the TGDC members that are on line can hear us
8 and we can hear them. Could you still identify if
9 you're on the teleconference? This is Alex. Someone
10 was just on. Good morning.

11 MR. PIERCE: Yes, good morning. It's Phillip
12 Pierce.

13 MODERATOR: Hi, Phillip. Good morning. Anyone
14 else on joining us?

15 MS. MILLER: Good morning. This is Alice Miller.

16 MODERATOR: Thank you, Alice. Anyone else?

17 (No audible response.)

18 MODERATOR: I'm assuming you both can hear us, and
19 we'll identify people as they join us. Good morning,
20 everybody. I'm Alan Eustis for the NIST Information
21 Technology Laboratory here at NIST. Welcome to the
22 Eighth Plannery Session.

1 Just some quick overviews that we like to do at the
2 beginning of our meetings. We are now located in the
3 Employee's Lounge which I will show you is here. We
4 also have an overflow room in Lecture C, should we have
5 a large attendance, which we are expecting. If we have
6 a fire or a fire drill or emergency, you'll hear the
7 sounds and you'll be warned, and here's the exit. You
8 go out the door here and take a right and go down, keep
9 going down the hallway, and you'll see the glass doors.
10 And you can just exit right. That's the easiest from
11 here. From Lecture C you'll want to go down the hall to
12 the right, and then down and out the entrance, the main
13 entrance is the fastest way there.

14 Please turn off your cell phones and pagers.
15 There's a lot of RF in this room as it is, so it would
16 be helpful if you'd turn those off, because it actually
17 even affects the video and audio of the microphones.
18 It's best not to have food, but I'm already violating
19 that with my cup of coffee. So I probably can't tell
20 you not to do that.

21 Particularly the public in attendance, please wear
22 your name badge while you're here. If you're planning

1 on coming back on Day 2 and you're driving, if you bring
2 your name badge and a license or a positive
3 identification, you do not need to go back through the
4 security shelter. You can just come right to the
5 meeting tomorrow, and we're meeting here tomorrow
6 starting at 8:30, to let everybody know. We'll be
7 breaking for lunch at around 12:30 and the cafeteria is
8 right across the way here. And we'll have some breaks
9 in between.

10 So with that, welcome to Gaithersburg on a nice
11 March day. And Dr. Jeffrey, the meeting is yours.

12 MR. CHAIRMAN: Thank you very much. And since I'm
13 violating Rule Number 2, I guess I'll waive it for
14 everyone else since this is not the auditorium. So
15 first of all, good morning and everyone welcome. Dr.
16 William Jeffrey, Director of NIST and Chair of the TGDC.
17 And I hereby call the Eighth Plannery Session of the
18 TGDC to order.

19 First I think we should stand for the Pledge of
20 Allegiance.

21 (Allegiance recited by all.)

22 At this time I'd like to recognize a brand new

1 parliamentary for the TGDC, Ms. Thelma Allen who will
2 now do the official roll call.

3 MS. ALLEN: Okay. Williams? Williams? Williams
4 not responding. Berger? Berger? Berger not
5 responding. Wagner? Wagner is here. Paul Miller?
6 Paul Miller? Paul Miller is not responding. Gayle?
7 Gayle? Gayle is not responding. Mason? Mason is here.
8 Gannon? Gannon is here. Pierce?

9 MR. PIERCE: Here by teleconference.

10 MS. ALLEN: Pierce is here. Alice Miller?

11 MS. MILLER: Here.

12 MS. ALLEN: Alice Miller is here. Purcell?
13 Purcell is here. Quisenberry? Quisenberry is here.
14 Rivest? Rivest is here. Schutzer? Schutzer's here.
15 Turner-Bowie? Turner - Bowie is here. Dr. Jeffrey is
16 here. We have 11 in attendance. That is a quorum.

17 MR. CHAIRMAN: Thank you very much.

18 UNIDENTIFIED SPEAKER: Mr. Chair, if I could for a
19 second, I forgot we have our signers over to my right.
20 If anyone needs their services they will be here this
21 morning and this afternoon. And please find a seat over
22 here on the right side. Thank you.

1 MR. CHAIRMAN: Thank you. I'll mention that I know
2 a couple of the TGDC members are stuck in various
3 airports due to bad weather in the Midwest, and they
4 hopefully will be here within a few hours. Well, I'd
5 again like to welcome everyone back to the TGDC and to
6 the Gaithersburg campus of NIST. I know everyone has
7 been working very diligently and very hard over the past
8 couple of months since the December meeting. At least,
9 that's what my staff has claimed. So we've got a lot of
10 work ahead of us before we get the next generation of
11 the TGDC guidelines to the EAC on schedule in July of
12 2007. And we've really benefited from the advice and
13 counsel that has been provided by this body, so I really
14 do look forward to the next two days of continuing that,
15 as we really try to wrap up and get sort of a little bit
16 of a finishing product going.

17 I'm especially pleased to have representatives from
18 the EAC here this morning, Commissioner Donetta
19 Davidson, Commissioner -- is Gretchen Hillman here?
20 Okay They should be here a little bit later. And two
21 newly-confirmed members --

22 UNIDENTIFIED SPEAKER: They'll be here shortly.

1 MR. CHAIRMAN: They'll be here shortly. So we have
2 two newly-confirmed commissioners, Carolyn Hunter and
3 Rosemary Rodriguez who will join us shortly. And I'd
4 also like to welcome back Executive Director Tom Wilke
5 and his senior staff, who again have been an absolutely
6 invaluable help to us.

7 So at this time, I'd like to entertain a motion to
8 adopt the minutes from the December 4th and 5th TGDC
9 meeting. Is there a second? There is a second. So, is
10 there a motion for unanimous consent? I'll call for
11 unanimous consent. Any objections? Okay. Hearing no
12 objections to unanimous consent, they are accepted.

13 Also we have to entertain a motion -- we missed the
14 minutes from the last meeting, I guess -- is that why --
15 of the March 29th meeting of the TGDC Committee.

16 UNIDENTIFIED SPEAKER: (Indiscernible.)

17 MR. CHAIRMAN: I'm sorry. So much for my notes.
18 So the agenda for this meeting, we need to adopt.
19 Sorry. My apologies. Any second to adopt the agenda
20 that you all have in front of you? Okay. There are
21 seconds. Any objections to unanimous consent? With
22 this formalism we now actually have an agenda. Thank

1 you. Sorry about that confusion.

2 Since the last meeting in December of 2006, the
3 three working subcommittees of the TGDC have drafted and
4 edited sections of the next generation of the VVSG. And
5 they will be reporting back at this meeting.

6 Specifically as a committee we will review, approve and,
7 where appropriate, provide supplemental direction to the
8 subcommittees. This guidance is critical to the
9 refinement of the final VVSG guidelines that we will
10 hand to the EAC.

11 At the December 2006 session, TGDC members
12 highlighted the need for the subcommittees to
13 collaborate on issues of mutual concern to two or more
14 of the subcommittees. And we're going to discuss the
15 results of those collaborations tomorrow.

16 Now, the time required for us to actually go
17 through this agenda means that the committee cannot take
18 public comments at this meeting, however there are
19 opportunities and will be continued opportunities for
20 the public to comment. In fact, I'd like to emphasize
21 that point, that the documents, draft documents are on
22 the web and are available for users, vendors, the

1 public. If you have any initial feedback, please e-mail
2 us. We'd be happy to accept that.

3 In addition, I'd like to mention two additional
4 things that we're going to be doing. As we get closer
5 to handing over our draft guidelines to the EAC in July,
6 we want to make sure that those guidelines are as good
7 as possible, that we've captured as many of the needs of
8 the community and that they are attestable and are
9 drafted as well as could be done. So what I'm asking is
10 that for each of the three subcommittees, I've asked
11 that there be co-chairs to each of the three
12 subcommittees where the co-chairs will actually be
13 representatives of the end users, the people out in the
14 states and localities who actually have to make sure
15 that this is implemented.

16 And I'm very happy to say that Paul Miller has
17 volunteered to be co chair on the Core Requirements
18 Team. Alice Miller has agreed to be co-chair of the
19 Human Factors and Privacy Team. And to prove that you
20 don't have to have the last name Miller to be a co-
21 chair, Helen Purcell has volunteered to be co-chair on
22 the Security and Transparency Subcommittee. So thank

1 you for your work and again, I want to make sure that we
2 don't have any gaps in what we put forward.

3 Along those lines, an important component is that
4 when we have the guidelines that they need to be
5 testable and verifiable as they get implemented. And
6 Whitney has had some discussions with us. I think
7 they've raised some really valuable points. And so what
8 I've asked, since NAVLAP works under NIST, I've asked
9 the NAVLAP representative to start participating
10 actively in the subcommittees to ensure that as the
11 guidelines are drafted, they're drafted in such a way
12 that they translate easily into something that can be
13 tested and verified. So I want to make sure that we
14 don't have some inconsistencies across that boundary.
15 And so the NAVLAP folks have agreed to that, and I
16 appreciate that.

17 Any additional comments and position statements
18 about the work of this committee or the TGDC draft
19 guidelines can be sent to voting@NIST.gov. That's
20 voting at N-I-S-T, dot, G-O-V, and they will be posted
21 on the website. And comments that we've received to
22 date are already posted there and been reviewed by

1 members.

2 So at this time, it's my great pleasure -- and let
3 me just mention that Commissioner Gretchen Hillman has
4 joined us. Welcome. In fact, perfect timing because
5 this is the opportunity now. I'd like to invite both
6 commissioners, Donetta Davidson and Gretchen Hillman, to
7 address this committee.

8 COMMISSIONER DAVIDSON: Good morning. Well, I want
9 to start by thanking each and every one of you sitting
10 here today and on the telephone for the next two days
11 and all of the time that you have served, and definitely
12 giving your guidance in this extremely important task.
13 And your opinions are valuable in this process and we
14 really do appreciate it.

15 Before I start, I think -- well, maybe I'd better
16 go ahead and then I'll introduce them if they get here
17 before I finish. Commissioner Hillman has been
18 introduced, and as you can tell she will speak right
19 after me. She's going to inform you how we're going to
20 start getting our Standards Board and our Advisory Board
21 involved with this process so that we have been
22 definitely educated as far as we can, and because

1 they're a real important part of this process.

2 As we begin our meeting here today and begin to
3 discuss the next iteration of the VVSG, I think it is
4 important to note where we are in this process and where
5 we have to go. You've worked hard since the 2005 VVSG
6 in getting to where we're at today. And after the
7 deliberation of the next two days, NIST and the leaders
8 of the TGDC are looking to hold another meeting in mid-
9 May to finalize the details that will be coming to us,
10 which is planned July of '07 to be delivered to the EAC.

11 The delivery of the TGDC draft version is an
12 extremely important step, but it only marks the
13 beginning of the next part of the process. After
14 reviewing the TGDC draft, the EAC has the responsibility
15 and mandated under HAVA to conduct a deliberate and
16 thorough review of the document.

17 First, EAC will review and vet the TGDC document
18 itself. Second, HAVA mandates that the EAC publish
19 their draft version in the federal register and receive
20 public comments for a minimum of 90 days. Also HAVA
21 requires that the EAC Board of Advisors and the Standard
22 Board get a minimum of 90 days also to review and give

1 comments. After the close of the comments the EAC staff
2 must review, catalog, and incorporate the comments
3 submitted by the Boards, by the public, and by all
4 members that have interested in giving those comments.

5 For the 2005 version, I think you've heard me say
6 it before -- we got over 6,500 comments that had to be
7 vetted. And we worked very hard along with NIST to make
8 sure that we had the very best product we could have at
9 the time we adopted the 2005 in December. This was only
10 a partial rewrite. This time the VVSG is a complete
11 rewrite. So amongst the steps of HAVA requiring EAC, it
12 also has us holding public hearings to meet with our
13 stakeholders, our major stakeholders.

14 For instance, we need to know what its election
15 officials need from the machines. We need to know
16 thoughts and concerns from advocacy groups. We must
17 engage the voting system manufacturers to understand the
18 technology available and a timeline for development.
19 This includes an open and honest discussion about how
20 much it's going to cost to develop, manufacture, and
21 test. In order for these guidelines to be functional,
22 they must be affordable.

1 The point of all of this is that the next iteration
2 of the VVSG is going to take time. And to do it
3 properly, it should take time. Unlike the 2005 -- as I
4 said -- this iteration is a complete rewrite. Anything
5 short of a methodical, systematic, and thorough review
6 by the EAC is irresponsible. With the support of NIST,
7 it is our goal to create a set of standards that won't
8 need to be looked at again for four years. EAC's goal
9 is to end the cycle of constant change between
10 elections. The creation of a comprehensive set of
11 guidelines is the only way to accomplish that goal.

12 VVSG is only one element in the process though that
13 we have to consider at the EAC. Elections is more than
14 just a machine. We have been working hard in
15 conjunctions with the VVSG to make sure that our
16 election management guidelines aid the election
17 officials in administrating the most transparent,
18 accessible, and trustworthy elections possible. Where
19 the VVSG ends off, the technical guidelines ends, the
20 management guidelines begin in taking the best practices
21 and advice on the administration of elections.

22 Currently the EAC is working on five new quick-

1 start guides for the officials. These five guides will
2 cover election certification, developing an audit trail,
3 public relation, disaster planning, and change
4 management. The goal is to release all of these prior
5 to the 2008 election. So the fall, we'd like to have
6 everything out by September of this year.

7 In conjunction with the management guidelines, the
8 quick starts, the EAC is working to develop several new
9 chapters in the management guidelines. These new
10 chapters will cover everything from military overseas
11 voting to polling place management, and also mail and
12 absentee ballots. The election center -- and we've
13 offered the same to other election training areas -- is
14 going to hold a meeting in Kansas City in April And at
15 that meeting they are introducing a lot of our
16 management guidelines.

17 In conjunction with all of this is obviously, what
18 is our top priority for 2007. It is to increase public
19 confidence in election. To achieve that goal we must
20 increase voter confidence in voting equipment and the
21 process. That means a vigorous system of testing and
22 certification of the equipment, educating the public and

1 the voters about the process, and continuing to examine
2 the way we conduct elections, and making improvements as
3 we go. So we have a huge job ahead of us, but we're
4 confident that we can meet that goal with all the help
5 that we have in our group that we are working with.

6 I want to tell you how much I look forward to the
7 next two days and learning everything that's coming
8 forth. And let's see if we have the new commissioners
9 here yet. No, but when we do we'll make sure that
10 they're introduced.

11 Thank you very much. I appreciate it. Ms.
12 Hillman?

13 MR. CHAIRMAN:: Thank you very much.

14 MS. HILLMAN: Good morning everybody, and thank you
15 for the opportunity to be with you this morning. As
16 Commissioner Davidson said, I mean, we are appreciating
17 the enormity of the task before us over the next several
18 months to perhaps a year to get through the next
19 iteration of the voluntary voting system guidelines.
20 And perhaps the two biggest challenges we have are
21 helping our Standards Board, our 110-member Standards
22 Board and our Board of Advisors to prepare for the role

1 that HAVA mandates, they perform, in reviewing and
2 commenting on the guidelines.

3 But beyond that we've got to undertake the task of
4 helping the public digest what we are doing, and doing
5 that in a way that the public can understand. And I
6 think a predecessor to that is to make sure that even
7 among the groups that are intimately involved and
8 familiar with the VVSG, that the scientists and the
9 technical experts and the election officials can
10 communicate and speak the same language. And quite
11 frankly, we're not so sure that's happening right now.

12 In response to that, the Standards Board is
13 starting now to prepare for its work, and we will be
14 joined today by one member of the Standards Board who is
15 serving on what is being called the VVSG Ad-Hoc
16 Committee of the Standards Board. And basically that
17 committee right now consists of three members of the
18 Standards Board, but in a very short period of time it
19 will grow to a larger-sized committee. This
20 subcommittee, this ad-hoc committee will work with the
21 Executive Board of the Standards Board to really review
22 what its task is, how to help the Standards Board

1 members receive the information in small enough bites
2 that they can adequately chew and digest it before
3 getting to the full main course after the recommended
4 guidelines are ready for public comment. And I expect
5 that the Board of Advisors will be doing the same thing.
6 And the Board of Advisors Subcommittee and the Standards
7 Board Ad-Hoc Committee will be working together over the
8 next several months to accomplish this.

9 And in many ways they are important spokespeople
10 about this subject in the states to the more than 7,000
11 election officials, state and local election officials
12 there are in this country, as well as to the grass-roots
13 community. I mean, as we know the public has never been
14 more interested in the very specifics of how voting
15 systems work than they are today. Irrespective of
16 whether the issue is accessibility for persons with
17 disabilities, security, you know, functioning, human
18 interaction, whatever the situation might be. And so we
19 certainly want to make sure that those two important
20 resources are adequately prepared to have discussions in
21 their communities with their county officials, state
22 officials, governors, whoever it may be, to help

1 everybody appreciate the implications of the Voluntary
2 Voting System Guidelines on the future of voting and
3 democracy in America.

4 And thank you so much. I look forward to the
5 conversations as well.

6 UNIDENTIFIED SPEAKER: Do we have Bill Campbell?
7 No? All right. Oh, Bill Campbell is here. Please let
8 me introduce Bill Campbell who is the City Clerk from
9 the city of Woburn, Massachusetts. And he is a member
10 of the Standards Board, has been since the Standards
11 Board was organized in 2004, and has just completed a
12 tenure on the Executive Board. He's here for the two
13 days to observe, and will be an important reporting
14 mechanism back to the Executive Board. Thank you.

15 MR. CAMPBELL: Thank you very much. I definitely
16 appreciate the absolutely strong support and good
17 working relationship that this committee has had with
18 the Election Assistance Commission. And we really
19 appreciate the comments from the commissioners.

20 At this point I'll ask Mr. Mark Skall to review the
21 summary of activities since December 2006. And I
22 believe that all the information in his briefing is

1 contained in the three-ring binder marked workbook. And
2 I will also reiterate one of the comments that
3 Commissioner Hillman made, is during these
4 presentations, the closer to English we can get some of
5 the technical briefings the better we will all be
6 served. So with that challenge, Mark --

7 MR. SKALL: You know, for someone from Brooklyn,
8 New York, it's very difficult to meet that challenge.
9 Good morning. I'd like to tell you about the voting
10 activities that NIST has been engaged with over the last
11 few months.

12 So this is an overview of what I'm going to speak
13 about. First of all, since December 4th and 5th, which
14 was the last TGDC meeting, we've been very, very busy.
15 As you know, the TGDC itself makes recommendations to
16 the EAC with respect to Voluntary Voting System
17 Guidelines. NIST of course provides the research and
18 actually drafts the words that go into the VVSG. We of
19 course cannot do this without very close coordination
20 with the TGDC.

21 Outreach is a very important area. In doing our
22 research, we want to make absolutely sure that we meet

1 with everybody we can meet so we understand the
2 environment we're working in, so that our research is as
3 thorough as it can be. And those of you who have been
4 involved with the TGDC from the beginning know that
5 during the first iteration of the VVSG, that was very
6 difficult because we were time constrained. During this
7 iteration we really are trying as well as we can to
8 reach out to as many different people so we can learn
9 everything we can in order to do our research.

10 Lastly, I'll talk about the resolution matrix that
11 the TGDC asked us to keep up to date. The agenda and
12 aims of the meeting are to -- I'm going to talk a little
13 bit about the focus of this meeting, the strategy of
14 this meeting, and then go over the agenda.

15 The first bullet is to remind me of an issue that I
16 did want to mention. In speaking with the EAC, they
17 were concerned that we were referring to this upcoming
18 iteration as VVSG 2007. For many good reasons, this
19 iteration, by the time it goes through the public
20 reviews will almost definitely not be adopted by the EAC
21 until at least 2008, I guess 2008 at least. I hope it
22 doesn't go another year. So we've been asked to refer

1 to this as something generic, like the next iteration of
2 the VVSG or the new VVSG. Perhaps we can have a contest
3 to name this, but not 2007.

4 I'd like to quickly go over the research that the
5 sub-groups have been doing over the last few months.
6 HFP has been working very arduously to update the
7 usability performance, benchmarks, which are of course
8 very, very important to get benchmarks that are
9 performance based rather than constraining design,
10 updates to usability requirements, and updates to
11 accessibility requirements. They've also been looking
12 at software independence and accessibility, the
13 relationship between the two.

14 The CRT has continued to do research in reliability
15 in benchmarks, quality requirements, electromagnetic
16 compatibility requirements. STS of course has been
17 doing a lot of the work on software independence and
18 auditing research, innovation class research,
19 coordination with HFP on software independence and
20 accessibility, and paper record usability issues, and
21 then more traditional security requirements such as
22 updates to Crypto, set up validation access control, and

1 system event logging.

2 Now again, we work very, very closely with the
3 TGDC. Obviously we've had 21 telecons since the last
4 December meeting, joint telecons between the committees
5 which we think is a very good idea. We obviously don't
6 want the committees working in a vacuum so the joint
7 telecons increase that synergy. We prepared much
8 discussion papers, draft material, and of course
9 numerous individual discussions among ourselves and with
10 TGDC members.

11 We have what we call the draft build. The is
12 essentially the draft of the VVSG. It's on the web.
13 Every time we do our research we -- and we do drafting,
14 we fill in the sections of the VVSG. We have over 500
15 pages now. We believe that drafting -- and this is a
16 very rough number, so don't hold me to it -- the
17 drafting can be about 80% complete as far as actually
18 putting pen to paper, but that last 20% is going to be
19 very, very challenging. And we're continuing to work
20 with a newer and more usable format for the VVSG.

21 Again, outreach and support of NIST research, we of
22 course have very close coordination with the EAC

1 including monthly meetings and countless telephone
2 calls. We clearly are conscious that the vendors play a
3 very important part in this, and they have to implement
4 the VVSG. So we have reached out to them and we do have
5 regular meetings with them via the Information
6 Technology Association of America. There's actually a
7 sub-group there that's devoted to voting system vendors.

8 We've made numerous presentations and discussions
9 at conferences and meetings such as the Election Center
10 Advisory Board. The Standards Board is an incredibly
11 invaluable resource for us I believe. I was just there
12 a few weeks ago speaking, and meeting with the very
13 important election officials, the Secretaries of States,
14 and others has been just invaluable for us to get
15 information about how to process work. And we've had
16 some more formal coordinations with the Standards Board
17 that ran afoul of (indiscernible) rules, but we are
18 clearly informally trying to liaise with them as much as
19 possible. And we have a very good relationship, we
20 believe, with them.

21 Other meetings as well, outreach to election
22 officials on paper auditing issues starting with the

1 election officials on the TGDC to understand that issue.
2 And we sent some correspondence to NAS and NASET to get
3 more information on benchmark for reliability.

4 There has been a resolution for NIST to create a
5 matrix and update it to map back our research and our
6 drafting to the actual resolutions. And we're very
7 conscious of that and update that regularly, and the
8 website is listed under the third bullet for that.

9 So the aims of this meeting: after this meeting
10 we're going to propose one more meeting, probably in the
11 middle to end of May. So there is one meeting left
12 between now and the delivery to the EAC in July. It's
13 very important to us at NIST and to the TGDC to reach as
14 much closure as we possibly can at this meeting. It
15 will be very difficult to change the direction in May at
16 the next meeting, so we would like to get all things as
17 much as possible resolved now so that NIST can have
18 clear direction to develop the VVSG drafts, which of
19 course will be the TGDC product.

20 So our goal at the next meeting in May is
21 essentially to have a complete draft. So we would like,
22 as I said, closure. And I'm going to ask the NIST staff

1 as well when they're up there to make sure they have all
2 questions, all issues that they don't have clear
3 direction answered, and to please speak up if in fact
4 you need further guidance. So that's the goal of the
5 meeting that I hope you all agree with. The aims of
6 the meeting, again to make substantial progress of
7 finalizing existing material and to discuss remaining
8 open issues, and of course to get a consensus.

9 So the presentations are broken up into two days.
10 Day 1 will be subcommittee presentations, subcommittee
11 consensus issues and material. And we hope to limit the
12 discussion to that material and save some of the cross-
13 cutting issues and perhaps more volatile issues to the
14 second day so we can achieve consensus with the material
15 in hand. The second day will be cross-cutting issues.
16 The discussion will probably be a lot more open ended,
17 because not as many decisions certainly have been made
18 in those issues. So we need further guidance.

19 Today's presentations will begin with an overview
20 of the draft VVSG by John Whack. The Security and
21 Transparency Committee will talk about the many things
22 it's doing: audit architecture, electronic paper record

1 requirements, crypto requirements, access control,
2 software distribution and set-up, core requirements and
3 testing, QA and configuration management, EMC
4 requirements, review of CRT changes from the previous
5 draft, and benchmarks for reliability. And then human
6 factors and privacy, we'll be discussing usability
7 requirements, accessibility requirements, privacy
8 requirements, and the usability research update.

9 Tomorrow we'll begin with Mary Saunders giving the
10 presentation on NAVLAP activities as Dr. Jeffrey
11 mentioned. Although NAVLAP is clearly not within the
12 scope of the TGDC, NAVLAP does activities that relate to
13 the work we're doing since they have to assess testing
14 labs for competence in testing the VVSG. Certainly we
15 want a dialogue between them and all of us to make sure
16 that the requirements we put in there are in fact
17 testable and acceptable to be assessed.

18 The cross-cutting discussions will begin with the
19 innovation class, accessibility and software
20 independence, paper rolls, VVSG scope and ballot
21 activation, and then there's time for resolutions and
22 future TGDC meeting planning.

1 That's about it. Any questions? Thank you.

2 MR. CHAIRMAN:: Now let's call John Whack up for
3 the next presentation which is the draft VVSG
4 recommendations, the EAC overview. Hopefully I've got
5 the right order.

6 MR. WHACK: Thank you. First though, I'd like to
7 ask Commissioner Davidson to come back up and do some
8 more introductions.

9 MS. DAVIDSON: Our commissioners have arrived, so
10 I'd like to take a moment to introduce them. Rosemary
11 Rodriguez is filling the vacancy of Ray Martinez, and
12 she's with us. And then Caroline Hunter -- I'll get on
13 this side where I really can see. Caroline Hunter has
14 been selected to replace Paul DeDivorio (phonetic
15 spelling). So welcome and thank you both for being
16 here. They plan on being here most of the day, so
17 please everybody introduce yourselves to them so that
18 they can get to know you. And they'll be very
19 interested in meeting everybody. Thank you.

20 MR. WHACK: Thank you, and welcome to the new
21 commissioners. We look forward to a lot of work
22 together over the next several months.

1 Okay. Good morning. It's always a pleasure to be
2 here and talk with you. And what I'm going to do is --
3 actually we have little bit more time. We're a little
4 bit ahead of schedule. We don't actually take a break
5 until 10:30 so I can speak very slowly, which is pretty
6 easy for me to do. What I'll do is I'm going to go over
7 essentially kind of where we are in the schedule, what
8 we have remaining for the next couple of months, what we
9 expect to be doing after the TGDC delivers this to the
10 EAC. Then I'm going to go through the document itself
11 and just simply try to point things out a little bit.
12 The document is getting very big. I don't expect that
13 all of you have read the thing from cover to cover at
14 this point. Mark Twain was a book critic and he was
15 reviewing somebody else's book, and he said once you put
16 it down you can't pick it back up. And it's sort of
17 like the VVSG right now. So with that I will launch
18 into this. At the end I'm going to talk about response
19 to TGDC Resolution 2305. So I'll get into that.

20 Okay. I'll just start with what's going to happen
21 right after this meeting. We will make changes
22 undoubtedly, and we still have some general areas we

1 still have to complete, some remaining core material on
2 security and CRT. We need help on the innovation class
3 requirements and open-ended vulnerability, and some
4 other areas that we'll talk about in more detail
5 tomorrow, final updates to the usability that Dr.
6 Leskowski is going to get into later today.

7 Then we have to go through a process of essentially
8 harmonizing a lot of material. We have some overlap
9 right now and we just have a very large document, and
10 we're highly interested in the document being as usable
11 and readable to the community as possible. We want to
12 give to the EAC a document that doesn't saddle them with
13 a lot of reformatting or a lot of restructuring. We've
14 got a lot of guide material to write, things like that.
15 So we are hoping to more or less be done with the
16 document by the end of May. And then we could spend a
17 leisurely -- you know, that's a joke -- leisurely June
18 and July going through and, you know, maybe boiling it
19 down to fewer requirements. Right now we have roughly
20 about 920, 930 requirements right now, and while we have
21 more to add, the final number could actually go down a
22 fair amount. There may be better ways to present the

1 requirements than we've done.

2 We will -- well, I guess NIST and the TGDC upon
3 delivery to the EAC in July will post the draft
4 recommendations on our website, and as before the EAC
5 will review this. They may make adjustments. They will
6 put a version out for public review. We expect that we
7 will be involved in vetting this with the Standards
8 Board and other groups as requested. I think some TGDC
9 members -- I remember Ron and Whitney and some others
10 were helping last, two summers ago, right? Two summers
11 ago out in Colorado doing the same thing. Final version
12 likely in 2008. Maybe this final bullet might get
13 discussed a little bit, I don't know. There's pending
14 congressional legislation that may affect things.

15 Okay. With that let me -- let's see if I can do
16 this with a mouse. Okay. This is the document right
17 here. And what I'm going to do -- and I will try to
18 speak fast actually, and I'll go through it rather
19 quickly. Please feel free to raise your hand and stop
20 me if you have a question. I promise as much as
21 possible to the NIST people that I will try not to make
22 up like new projects or things we need to do as I'm

1 talking. I do want to say that this document right now,
2 the structure of it kind of reflects the communication
3 that we have within our project right now. And that has
4 to be ironed out somewhat, the structure of the
5 document, that is. We don't always agree on the
6 material, but I do have to say that everybody here on a
7 project at NIST really cares about this material. It's
8 the first time I've ever been involved in a project
9 where I've seen such dedication from people. People
10 actually really care about the material. And we want to
11 do as good a job as we can. We need clear direction
12 from a number of -- well, on a number of different items
13 today and tomorrow. And we're looking to you to get as
14 much help as we can.

15 Okay. So I'll start with just a quick overview of
16 the document, and hopefully you can see it there and you
17 don't get motion sickness if I go through it fairly
18 quickly. Essentially it says six volumes. Really
19 volume 6 is just a bibliography and a summary of
20 requirements. But essentially the guidelines overview,
21 you'll notice Frank Lloyd Bright's great-grandson
22 designed the cover for us. I don't know if we'll stick

1 with that, but essentially this is going to be just an
2 introduction to the other four volumes, volumes 2
3 through 5. We haven't written much material for that
4 yet, but that will be essentially a guide to the
5 standards themselves.

6 Terminology section standard is essentially the
7 glossary. And I'll go through it briefly. Maybe I can
8 blow that up a little bit. Scope, applicability,
9 essentially the big changes here maybe from the 2005
10 version is we have stuck to only the terms that we're
11 using on the VVSG, in the draft VVSG. The final version
12 of this, these will all be linked. There will be a lot
13 of cross-referencing. These definitions build upon
14 themselves. So we've got that. Volumes 3 and 4 are
15 actually the volumes that have most of the requirements
16 in them. Volume 5 has some requirements as well, but
17 Volume 3 is really the requirements that apply to the
18 equipment basically, requirements for vendors. So I'll
19 go through the introduction a little bit.

20 Again, let me blow that up a little bit. Standard
21 things up front, starting off with a description and
22 rationale of significant changes from Reference 6, which

1 is the 2005 VVSG. And I want to just point out a few
2 things. Maybe some people in STS may not realize some
3 other stuff is in this particular area in the core
4 requirements. But we'll go through the conformance
5 clause a little bit. Discussion on marginal marks,
6 those in CRT remember a fair amount of discussion there.
7 Actually, let me expand that a little bit. Coding
8 conventions, a lot of updates to coding conventions,
9 structured programming, a number of things in there.
10 Discussion of COTS, how COTS is being handled. And I
11 think if I'm not wrong, Volume 5 has more discussion on
12 COTS.

13 Reference models, right now we have a couple
14 different reference models at the very end of the
15 chapter. The section on deletions, what's not going to
16 be standardized, a number of different things. So this
17 is I think a good introduction written mainly by David
18 Flater. It will be augmented a good bit with more
19 material from SES and HFP before we're done.

20 Let me move down here. The conformance clause --
21 and it's not a single clause, it's actually a chapter.
22 There's a lot of clauses in it. Basically going over

1 the structure of requirements, what's normative, what's
2 informative, implementation statement. I'll talk a
3 little bit about the structure of requirements in a
4 minute. The terminology we're using for classes. Now,
5 classes as you know really are in essence things used in
6 the requirements to distinguish what the requirements
7 apply to, what sorts of equipment a requirements applies
8 to. Classes are arranged hierarchically. There's some
9 pictures right up here. This is the voting device class
10 here. And for example, a VVPAT is related to DRE; DRES
11 can be related to tabulator, and basically starting with
12 voting device at the very top.

13 And then when we get to the actual requirements, I
14 will show you a little bit more about that. Semantics
15 of classes, how they are joined together, various
16 extensions that can be added on. And then I'll get into
17 the various chapters of the volume. Right now we've got
18 -- is it eight different security chapters? Let me go
19 down to a smaller number. We haven't figured out the
20 arrangement in general, but let's say there's security
21 represented in front of you. There are core
22 requirements, HPF usability/accessibility. There are

1 more requirements written by CRT, requirements by voting
2 activity, and some reference models.

3 And I won't go through these in much detail at all.
4 It's my intention just to show you where they are right
5 now. Access control, for example, I believe we'll be
6 discussing some of that. But why don't I just stop here
7 and show you this requirement to give you an idea of the
8 structure. Basically every requirement has this arrow
9 here. Every requirement now has a title. If you're
10 skimming through, the titles hopefully -- well, I think
11 by and large they are fairly descriptive of the
12 requirements, so it's a short hand for being able to
13 skim through quickly and find what you're looking for.
14 Green text, you know, just sort of make the
15 requirement's body stand out more to people. Here's a
16 class. This applies to the voting system class, which
17 means it applies to all voting systems at this point.
18 Test reference, this points to Volume 5, Section 5-2.
19 Why don't we go there quickly. Volume 5, Section 5-2.
20 Okay. Chapter 5, functional testing. So it's basically
21 saying that requirement will be tested via techniques
22 and functional testing. How do I get back to where I

1 was?

2 Okay. So test reference applies to a discussion
3 field. Many of the requirements have it. Where did the
4 requirement originate from, many of these are new
5 requirements. Many of these have their origins in VVSG
6 2005 or the VSS 2002, or other areas of the standards.
7 The impact field probably isn't a field that will appear
8 in the final version of the standard. This is more a
9 note to us, but it's just in general describing what
10 sort of impact this requirement may have on equipment or
11 new technology.

12 Now, let me find a sub-requirement here. Not a
13 whole lot of sub-requirements in this section here. I
14 think there's a couple down here about passwords if I
15 can find them. This is the part where I was saying
16 motion sickness. Oh, here we are. Okay. User name and
17 password management requirement. Okay, so we've got a
18 general, a more high-level requirement here. We have
19 two choices. We could then have made this requirement
20 very long and maybe put a table, or we could have put a
21 number of sub-requirements. So we chose the sub-
22 requirement route here that get into more detail. So a

1 sub-requirement has this symbol here. It's one level of
2 sub-requirements basically There aren't sub-sub-
3 requirements, just sub-requirements.

4 Okay. So that's the requirements structure. I
5 think I'll skip ahead to the CRT general requirements.
6 Don't look at those yellow things there. Well, you can
7 look at them.

8 **(END OF AUDIOTAPE 1, SIDE A)**

9 * * * * *

10 **(START OF AUDIOTAPE 1, SIDE B)**

11 MR. WHACK: -- good idea, and it's basically to
12 identify those glossary terms that are used and provide
13 a link to them, you know, back to the glossary. I think
14 tabulator device that counts votes -- and it's a way of
15 making sure that these are understood correctly. So a
16 couple of other things. So there will be a lot of cross
17 referencing and linking here. And the idea gain is to
18 make this as usable as possible. It could be that
19 developers, testers end up using a paper version of
20 this, so the hyperlinks at least will identify that it
21 is a glossary term.

22 CRT general requirements, what are they? You can

1 think of them as the basic core functional requirements
2 for voting systems. Another way of looking at them is
3 that they're everything else after security and HFP.
4 And some requirements in here may actually end up
5 leaving and getting covered by some of the other
6 subcommittees. But, you know, just going through some
7 of the requirements here for voting variations, you can
8 see what we're covering here, cross-party endorsements,
9 so on and so forth.

10 What else are we going through? Hardware, software
11 performance general requirements, reliability, accuracy.
12 We'll be talking about these, and Goldfine will be
13 talking about electrical workmanship. Software
14 engineering practices for those people in STS, there is
15 a lot of material in here on structured programming,
16 various coding practices, techniques, things that need
17 to be used, a lot of material in here that I would
18 recommend taking a look at. Quality assurance, quality
19 -- Alan Goldfine again will be discussing some of that.
20 Durability, security, and audit architecture -- John
21 Kelsey will be discussing some of that. When I talk
22 about overlaps, this is one example. It could be that

1 the audit material may go here. It could all end up in
2 the security section, just as long as it's in one place
3 so you can find it.

4 Archival requirements, so on and so forth --
5 interoperability, right now we have interoperability
6 requirements in this section. They may migrate over to
7 STS. These essentially deal with a standard format for
8 data.

9 Okay. Usability, I won't go into too much because
10 Sharon Leskowski will do a good job of that.
11 Essentially, just in case you don't know already, people
12 think of this as usability and accessibility, but it
13 also has the privacy requirements and also has new
14 material that I think we discussed a little bit last
15 time on usability for poll workers. So again, important
16 material to pick out.

17 Requirements by voting activity, another
18 arrangement of requirements basically necessary to
19 support different activities. So basically election
20 preparation, equipment setup, opening polls, casting,
21 closing, counting, reporting, you know, various
22 requirements on what reports ought to look like. Audit

1 status and readiness reports may be covered here. It
2 might be covered in much more detail perhaps in STS.
3 How the reports are formatted may be covered more in
4 HFP. So we've got the basic requirement that there
5 shall be reports here. Things about the security,
6 whether they be digitally signed would be in STS. Ways
7 of representing the data so that it is readily usable
8 and accurately read would probably be more in HFP.

9 So with that we have reference models at the end of
10 Volume 3 which talks about the process model being used
11 in here with various diagrams. And I think we have the
12 UML down below. And this part you will not be able to
13 put down. I'm sorry. I shouldn't say that. It's tough
14 to read this without a computer interpreting it for you.
15 Various vote capture device state models, things of that
16 -- and any work we do and, you know, discussion of
17 threats would probably go in this general area as well.

18 Okay. Volume 4 is the other big volume with
19 requirements in it, but these are requirements for
20 vendors and test labs, documentation requirements. And
21 scrolling through this again -- let me blow that up --
22 again the introductions are well written and it's good

1 just to read through quickly and just take a look in
2 general. And it does a good job of telling you what's
3 in the general volume as well.

4 Requirements for what the vendor has to deliver to
5 the test lab, the technical data package, this again is
6 an important area for security. It's an important area
7 for all subcommittees. It's cross cutting, but I think
8 security and CRT have a lot of involvement here. Voting
9 equipment, user documentation, this has been a big topic
10 of discussion as well in all three subcommittees; how
11 well it's written, how readable it is, the things it
12 covers. So these are things to look at as well per
13 discussions and all the telecons regarding some of this.
14 Certification test plan, test report for the EAC, the
15 public information package, Dave Flater has looked at
16 the EAC's certification plan and material, and done his
17 best to harmonize this as well as he can.

18 I'm doing pretty well on time here. I'll conclude
19 here with Volume 5, and Volume 5 here is the testing
20 standard. It does not contain the tests themselves to
21 test specific requirements. It basically contains
22 everything but that. It is in essence kind of an

1 introduction to the different types of tests, and it has
2 information in the test protocol section more about how
3 the tests will be conducted in general. There is an
4 informative section, Chapter 2, on the conformity
5 assessment process, which is an overview of that. So,
6 just to good to read in general.

7 And then Chapter 3 is introduction to test methods,
8 the different types of test methods that will be used
9 here. Vulnerability testing; another name for that is
10 open-ended vulnerability testing. And that will
11 probably have more material in it. Discussion of
12 interoperability testing -- so on and so forth.

13 Some requirements for documentation and design
14 reviews in Chapter 4, and discussion a little bit of
15 COTS, physical configuration audits. And actually, one
16 thing I may have passed over if you don't mind me
17 jumping back to the introduction, I'm not sure -- we had
18 some discussion about COTs and the different types of
19 categories we're going to use. So that is in the
20 introduction. I just wanted to point that out since I
21 think I saw some requirements pertaining to that in
22 Chapter 4.

1 And then Chapter 5, test protocols -- test
2 protocols sometimes these terms are confusing, but a
3 test protocol here is essentially how the test in
4 general is being done, but not the specific test, so how
5 functional testing will be done, various general
6 guidelines, pass/fail criteria, assertions, missing
7 functionality, things in here about what vendors have to
8 report on such as the number of should requirements they
9 meet or they don't meet, you know, things of that sort.
10 And in general that's what we have there.

11 The bibliography -- well, I've got almost half an
12 hour left. I could just go right through and read them
13 all, but --

14 MR. CHAIRMAN:: You're not obligated to.

15 MR. WHACK: -- but I won't do that. But we do plan
16 to have an extensive summary. Now, right now we have
17 just a summary of the requirements table. And we'd
18 encourage feedback for the sorts of tables we could put
19 in there that would make this easier to read, and/or
20 ways we could format this better so people can find
21 things. I guess Acrobat links this already, so of
22 course we can get to the requirements by clicking on the

1 page numbers. But if there are better ways of
2 presenting summaries to the material and you have advice
3 for us, we'd certainly like to hear it. We're working
4 with the EAC as well on this format. We want to give
5 them something that they can rather immediately use.

6 That is kind of it. Are there any questions I can
7 answer quickly on this, you know, pertaining to the
8 structure or the document?

9 MS. QUISENBERRY: Hi, Whitney Quisenberry. I have
10 a comment and a question. The comment is that I think I
11 was one of the people that set you down the path of
12 trying to make the document usable by, I think nagging
13 is an appropriate word. And I'd like to commend you on
14 the results. I know that this was not an easy task and
15 we've gone a long way from, this is technical so it
16 should be hard to read. And I think that the layout and
17 structure of the document is really quite usable and
18 very attractive to read. I mean, you open it up and I
19 feel like I can scan through it quite quickly. And so
20 I'd like to -- I'm sure a lot of people worked very hard
21 on that, so a round of applause for all of them and for
22 you for sticking with it.

1 And the question is in Volume 3, whether the order
2 and organization of the chapters within that section as
3 presented here is determined, or is that simply mushing
4 it all together and getting it into the document?

5 MR. WHACK: It was mushing it in together and
6 getting it in the document really. If the TGDC has
7 preferences as to the order, that's fine.

8 MS. QUISENBERRY: I'd love to make a pitch for,
9 starting with usability and accessibility. Of course
10 it's mine so that's an obvious place to start, but I'd
11 like to give a reason why. And it's that this is a
12 technical standard. It's an equipment standard. And
13 because we're so focused on the details of the
14 equipment, it's easy to lose track of the fact that the
15 purpose of this standard is to support humans and human
16 activity. And so starting with that and then talking
17 about the technical requirements that support that
18 activity I think would help us all remember why we're
19 all here.

20 MR. WHACK: In the VVSG 2005 there was HFP Chapter
21 3, so there may be some good reason just to continue
22 that as well. Any other comments that I can get to?

1 None? Okay. Well, I want to reinforce that this is out
2 there on the public site of the website. Anybody can
3 get to it, anybody can read it, any vendors, anybody
4 else out there in the community is welcome to read it.
5 And we welcome comments to the TGDC. We post those
6 comments, they are available. The slides of course are
7 available as well.

8 Since I'm ahead of schedule, I anticipated that I
9 would go over the response to Resolution 2305 after the
10 break, but how about if I do that before the break? And
11 I think I'll still be ahead of the schedule at that
12 point. So if that's okay --

13 This was a resolution that, if my memory serves me
14 right, we started discussing in December of 2004. And
15 coming up, those of you who worked on VVSG 2005 remember
16 that we had a flurry of activity in December and January
17 to develop resolutions. And the idea was basically to
18 put electronic data into some interoperable format,
19 hopefully something along the lines of ASCII that people
20 could read easily. This is what we came up with and
21 this is the resolution. I won't read it out loud to you
22 since you know it pretty well.

1 So we did some research into this area. We think
2 it's an extremely important area that, for a number of
3 reasons, security is where I worked in mostly, but in
4 core requirements, for all sorts of reasons it's
5 important to have some sort of standard format to
6 represent data. Right now, OASIS EML IEEE Project 1622
7 -- 1622 hasn't adopted anything yet. Current rev of EML
8 is 4. Dave Flater submitted some issues and a number of
9 those were incorporated into the version that's out
10 right now, EML 5, which may be an OASIS standard by
11 summer 2007.

12 What we need to do at NIST is make sure that we
13 get all the information regarding our requirements for a
14 format to both organizations, to OASIS and IEEE, to
15 assist in moving this forward, to make sure that we can
16 at some point reference a standard in the VVSG, and that
17 everybody can start using. I think this is, as we've
18 talked a little bit with some people, kind of a chicken-
19 and-egg situation where we can't wait forever for one
20 standard to emerge because it probably needs some
21 pushing. At the same time we need to wait a little bit
22 longer for both areas to mature fully, and for us also

1 to work more closely with them and make sure we've
2 communicated our requirements there.

3 So that's what we're doing right now. And in the
4 VVSG we're going to do what we did in VVSG 2005, which
5 is basically have requirements for an interoperable
6 format and what information goes into it. And in
7 discussion fields we referenced EML in 2005. We will do
8 the same again in the draft VVSG recommendations.

9 With that --

10 MR. CHAIRMAN:: Let me check. Are there any
11 questions on what John just described in terms of the
12 impact on 2305 then? Pat?

13 MR. GANNON: This is Patrick Gannon. I wish I
14 could provide some additional update to the status
15 information you provided there. The OASIS Election
16 Voter Services Committee did have some interaction with
17 David Flater, has been requesting closer participation
18 from NIST staff on that committee to move that forward.
19 The election (indiscernible) version 5 has been approved
20 by the committee as a public review draft. It is out
21 for a 60-day public review. Once that public review is
22 completed, it will then be submitted to become an OASIS

1 standard around the June timeframe. And then shortly
2 after that, the plan is to submit it to become an ISO
3 standard for that. Also, the evaluation, there are
4 representatives from the IEEE P1622 working group on the
5 OASIS Election Voter Services Committee. They have
6 reviewed the requirements under P1622 and find that they
7 are a subset of the capabilities provided in the
8 election market language standard, and that the new
9 version 5 meets all of those requirements under 1622,
10 even though the P1622 doesn't actually have any standard
11 that they have adopted to meet the requirements. So
12 right now the email seems to meet all of those
13 requirements too, and are looking forward to setting up
14 some testing or demonstration, interoperability
15 demonstrations in the middle of this year.

16 MR. CHAIRMAN:: Thank you. Any other questions or
17 comments for John? Okay. With that, I appreciate him
18 getting us ahead of schedule. I'm sure we're going to
19 lose it later in the day. So with that, let's take a
20 15-minute break right now and come back -- I'll be
21 realistic -- 10:20 according to the official atomic
22 clock up there. Thanks.

1 (Break.)

2 MR. CHAIRMAN:: Okay. Thank you very much. At
3 this time I'd like to ask Nelson Hastings, Bill Burr,
4 and John Kelsey to -- I assume one of the three of you,
5 at least -- to come up and present security and
6 transparency progress.

7 MR. HASTINGS: I'm going to give the security and
8 transparency progress report. And John Kelsey will do a
9 presentation on auditing, and Bill Burr will do a
10 presentation on cryptography. So the overview is --
11 I'll review the development process that we're using to
12 create draft requirements. Then we'll go through very
13 briefly, very quickly the status of the different
14 security requirements, different topics, grouped by
15 topics. And then we'll open up for discussion.

16 So to give you a perspective on where things are as
17 it's presented in the presentations, we first create
18 draft requirements based on the TGDC resolutions and
19 telecons. It's distributed within this for review. We
20 revise those requirements and then distribute that to
21 the Security and Transparency Subcommittee for review,
22 and then we revised the requirements based on those

1 comments. And then we distribute those revised
2 requirements to the TGDC at large for review.

3 So these are the ten different topic areas that
4 we're working on currently. The ones at the top are a
5 little less mature than the ones towards the end of the
6 list there. And you'll see that in the presentation.

7 So since the last TGDC meeting, we've developed
8 some draft requirements on physical security. Those
9 requirements relate to physical keys, tamper-proof
10 seals, external ports, door covers and panels, and
11 encasements. Those requirements are being reviewed at
12 this point by NIST staff to be revised, and will shortly
13 be distributed to STS for review. Also since the last
14 TGDC meeting, system integrity management requirements
15 have been developed, and they cover areas such as
16 communication security, malicious code protection,
17 platform configuration management, and error conditions
18 and how to alert people to those in handling of those.

19 Those requirements need to be mapped to the
20 previous version of the VVSG to understand the impact,
21 how far are we stretching the requirements in this
22 iteration. In addition, they need to be harmonized with

1 the security and non-security related requirements. At
2 this point it's in the process of being reviewed and
3 updated internally to NIST and will shortly be
4 distributed to STS for their review and feedback.

5 The innovation class has come up since the last
6 TGDC meeting as part of a resolution. Some initial
7 research and development has been conducted into
8 creating some high-level requirements and entry criteria
9 into the innovation class. We're working with the EAC
10 to address how the innovation class type system could be
11 certified, how to integrate that into their testing and
12 certification program. The real question is how are
13 innovative techniques going to be reviewed and tested.
14 A discussion paper was recently distributed to STS for
15 review, and I believe tomorrow we're going to have an
16 extensive discussion on that topic.

17 Security documentation requirements - since the
18 last meeting we've developed a few high level, very
19 high-level requirements. These requirements need to be
20 polished up to map to the previous version of VVSG. The
21 low-level requirements, those have been developed as the
22 different sections or the different areas of security

1 requirements have been developed. And once those areas
2 become stable, we'll take and pull those out and
3 consolidate them and put them into Volume 4 of the VVSG.

4 In general, there's three areas of documentation
5 related to security. Some general security
6 documentation related to security architecture and the
7 threats that the systems are to mitigate, some technical
8 documentation related to how the voting equipment is
9 designed and implemented to provide the security
10 features. Those documentations really feed into the
11 testing labs to help them in order to perform testing.
12 User documentation is related to how voting equipment
13 security features are used. In addition to that, it
14 requires kind of the assumed policies and procedures
15 that were envisioned by the vendors when this equipment
16 was created, so that if certain policies and procedures
17 aren't implemented other mitigating policies and
18 procedures would have to be put in place to mitigate
19 those issues. The distribution of this to STS will
20 probably be more in kind of chunks. As the general
21 security requirements become -- as the high-level
22 security requirements become stable, we'll let those out

1 for STS review. And then as the low-level requirements
2 become available, we'll also let those out.

3 Software distribution requirements have been
4 developed since the last meeting. They cover issues
5 such as the creation of software distribution package
6 master copies where software distribution packages have
7 digital signatures on each file contained in that
8 software distribution package. Requirements related to
9 the witness build of the software, requirements based on
10 types of repositories and the services that they
11 provide, access control requirements -- this is a kind
12 of cross-over area with access control in relationship
13 to software installation and limiting software
14 installation to the preloading mode. Requirements need
15 to be mapped to the VVSG 2005 and harmonized once again
16 with the security and non-security related requirements.
17 This was very recently distributed to the STS
18 subcommittee for review.

19 The next set of requirements relate to system event
20 logging requirements. These requirements have also been
21 developed since the TGDC meeting, the last TGDC meeting
22 I should say. And they cover the types of events that

1 need to be captured by the log entry information, such
2 as date, time, the type of event that occurred,
3 protection of the logs through the use of cryptography,
4 and log management. On this slide I should have put
5 that these requirements have been mapped to VVSG for
6 impact. And basically that's showing us that the types
7 of events that need to be captured are at a much more
8 detailed level than in the previous version. Also the
9 introduction of the use of cryptography into protection
10 of the logs. This was distributed to STS for feedback
11 and was updated based on that. One of the comments that
12 we had was to put the events into a tabular form so that
13 it would be easier to read and understand. So we did
14 that, as well as to cut out requirements that, to
15 simplify the requirements and make them less complex.
16 One of the big questions that came up is how
17 configurable should system event logging capabilities
18 be. In general-purpose operating systems, the
19 configurability of the event logs is built in pretty
20 much into those systems. However, limited use operating
21 systems such as single-process, single-user operating
22 systems or embedded operating systems probably don't

1 have those capabilities. And so we're working with STS
2 to scope these requirements appropriately. And once
3 that scooping is done, we'll redistribute it to the STS
4 for review.

5 Access control requirements have been updated since
6 the December meeting. They cover things such as
7 authentication mechanisms, access control and
8 (indiscernible) mechanisms, management of identities and
9 rights and limitations of rights during (indiscernible)
10 modes of the voting system. They have been mapped to
11 the VVSG for impact analysis, and one of the things here
12 is that in the previous version, authentication
13 mechanisms really focused on the use of passwords and
14 those types of things, very detailed requirements
15 related to passwords. So we've tried to open it up and
16 give better requirements in terms of use of hardware
17 tokens or tokens for authentication. Reviewed the
18 impact of software independence on this.

19 Originally these requirements were developed before
20 the passage of the software independence resolution at
21 the last meeting. And it turns out that software
22 independence really didn't have an impact on those

1 requirements. We distributed the requirements to STS,
2 we updated it based on their feedback, and once again
3 there was a requirement on how or why should the access
4 control policies be so configurable, how flexible should
5 those be. Once again, general-purpose operating systems
6 have these capabilities available, limited operating
7 systems don't. And once again we're working with STS to
8 scope these requirements properly. Once those are
9 scoped we'll redistributed tests just for their review.

10 Set-up validation requirements have been updated
11 since the last meeting. They deal with software
12 identification and verification, inspection of register
13 variables, and registers and variables, and other
14 equipment property such as the levels of power that's
15 left in back-up power supplies, being able to determine
16 if the communications capabilities of the system are on
17 or off, does the equipment have the correct level of
18 consumables in it such as paper and ink. They've been
19 mapped to the VVSG 2005. A lot of the 2005
20 (indiscernible) was very centric on software
21 identification and verification as well as having the
22 variable and register inspection capabilities. So a lot

1 of the new requirements in this section relate to voting
2 -- the other properties in a sense. We wanted to expand
3 the scope away from just the software and the registers.

4 Again, these requirements were developed before the
5 passage of the software independence resolution, so we
6 went back and looked at what areas that software
7 independence actually impacted these requirements. And
8 as you saw, there were software identification and
9 software verification requirements. And the software
10 identification requirements, it really didn't have too
11 much of an impact on it. However, on the software
12 verification requirements, it did have some impact. And
13 one of those is that it seems acceptable to allow
14 internal verification of installed software for non-
15 network, vote-capture devices. Non-networks is kind of
16 a misnomer here in the sense that it could be limited --
17 a limited network is more descriptive of what it is.
18 And what we mean by limited network capability is that a
19 vote-capture device could communicate with one election
20 management-type system, or one other vote-capture
21 device. So very limited communication with other
22 devices.

1 What does this mean? It means that an external
2 interface to check the installed software is not
3 required on those limited network-type of vote-capture
4 devices. So then the external verification is required
5 for election management systems and network vote-capture
6 devices, fully network vote-capture devices or more
7 completely network vote-capture devices. And the reason
8 here is that election management systems and network
9 vote-capture devices do communicate with several
10 different devices during the process of the election.
11 And in that case, there is more chance of those systems
12 getting infected with viruses and stuff. It seems
13 somewhat appropriate to have Election Management Systems
14 have this, because in most cases those systems are on
15 general-purpose PCs that already have external
16 interfaces on them. So that was the justification for
17 that.

18 These requirements have been distributed to STS for
19 review. They've been updated based on the feedback
20 received. Some of the feedback that was received is to
21 reduce the complexity and possibly try to raise the
22 level of the requirements higher. So we discussed that

1 a little bit, and what it did is if you had different
2 types of verification techniques, some that are
3 cryptographic-based and some that are not, you need that
4 level of granularity. So what was discussed is, should
5 the VVSG support means other than cryptography for
6 verification techniques. And it was decided that in
7 this iteration, because the non-cryptographic based
8 techniques are at a very infant stage in their
9 development, that this iteration will explicitly call
10 out cryptographic-based techniques. Those updates will
11 need to be redistributed to STS for review.

12 Auditing requirements have been developed, focusing
13 on how to achieve software independence through
14 auditing. The requirements developed since the last
15 meeting are the capabilities of the equipment to support
16 auditing, requirements related to electronic records and
17 paper records. And that was recently distributed to STS
18 for feedback. John Kelsey will give you a more detailed
19 presentation on that topic.

20 And cryptography requirements, the requirements
21 have been significantly updated since the last meeting.
22 It eliminated the tutorial style that it used to have,

1 the tutorial flavor of that section. It still focuses
2 on using FIPS 140-2, validated cryptographic modules,
3 and it really focuses on key management requirements and
4 trying to make key management a workable solution and
5 simplified. It was recently distributed to STS for
6 feedback, and Bill Burr will be presenting more detail
7 on that topic.

8 So that's what I have.

9 MR. CHAIRMAN:: First I'd like to acknowledge John
10 Gayle's arrival. And John, any questions?

11 MR. GAYLE: Thank you, Dr. Jeffrey. As you would
12 probably realize, this is always quite a test for those
13 of us that don't do this type of work on a regular
14 basis, and you speak a different language than we do in
15 the election community. And therefore I would ask if
16 you could put this in maybe a succinct description of
17 exactly what you're trying to accomplish when you talk
18 about your setup validation and some of the
19 cryptographic changes and granularity. I mean, those
20 are things I don't deal with on a daily basis. I'd like
21 to know what it means and what the implication is for
22 the equipment and for the election officials who will

1 use that equipment.

2 MR. HASTINGS: Okay. Do you want me to go ahead
3 and take that one? So my understanding of what we're
4 trying to do with setup validation is to provide the
5 capabilities on the systems that allow election
6 officials to inspect properties of the system so that
7 they can be confident that it's ready for use at the
8 polling place.

9 MR. GAYLE: Are these directions that you intend to
10 be given by the vendors to the election officials, or
11 are these standards that you're attempting to define
12 that will be distributed universally, kind of a
13 universal design for how set up will be validated?

14 MR. HASTINGS: The goal is to provide the
15 capabilities in the systems, and it's up to the
16 jurisdictions to decide whether they will use those
17 capabilities to validate the systems, the different
18 areas of the system.

19 MR. GAYLE: But what I guess I'm trying to
20 understand is, I see what you're attempting to do. But
21 are you saying that this is the singular method in which
22 the local officials can validate the setup? It's the

1 only method that they can use, or is that something to
2 the management guidelines of the EAC, or is that subject
3 to state law, or are we setting up here a validation
4 method that is a singular method that everyone must
5 follow or else it won't meet the guidelines?

6 MR. HASTINGS: I hesitate to say that they're
7 methods as much as they're capabilities of the system
8 that are available for use if election officials wish to
9 have them.

10 MR. CHAIRMAN:: David, do you want to add to that?

11 MR. FLATER: Maybe I can comment just to help
12 understand a little about what the setup validation is
13 trying to achieve. It's requiring the machines to have
14 a capability so that officials can, if they choose to,
15 to inspect the machines to check some of the things that
16 you might care about if you wanted to check to make sure
17 they're ready for use. So for instance, that includes
18 things like what's the supply of consumables: is there
19 enough ink, if ink is a consumable, for instance. It's
20 checking things like, was it configured as you thought
21 it should be, for instance. It would provide you the
22 capability so you could do that if you choose to. And

1 one of the other pieces there, which is security
2 relevant, is it includes a requirement to allow you to
3 check what software is currently resident on the
4 machine, what software is currently installed on the
5 machine to allow you to check and to confirm, is that
6 indeed the certified version of software, the version of
7 software that ought to have been there, that hasn't been
8 tampered or replaced, or hasn't been accidentally
9 replaced with an uncertified version.

10 So the setup validation requirements in the
11 standard would require vendors to provide those
12 capabilities. Some of these have appeared in the 2005
13 VVSG. It's worth pointing out that this security part
14 of it that allows you to check what software is
15 resident, what Nelson described the current proposal on
16 the table would be a partial relaxation of the
17 requirements. So compared to the 2005 VVSG, the 2005
18 VVSG required, as I understand it, all machines to have
19 that capability. And this would be a step back from
20 that to say, a subset of machines are required to have
21 that specific capability to check what software is
22 resident, but not all of them. I don't know if that

1 helps.

2 MR. GAYLE: Well, that is helpful. And let me ask
3 one other question. Are we talking about the initial
4 setup of new equipment upon delivery, or are we talking
5 about the setup each time that the equipment is going to
6 be used for an election?

7 MR. FLATER: My understanding is that this is a
8 capability that you would envision could be used before
9 every election. For instance, checking before every
10 election if there's a sufficient supply of consumables
11 might be something you want to do. And so the vendors
12 would have to provide that capability so you could use
13 it if you decide to.

14 MR. CHAIRMAN: This -- oh.

15 COMMISSIONER DAVIDSON: One of the things I think
16 that might help you understand that is, a lot of times
17 new software is installed on existing hardware. And a
18 lot of times, the election official is not sure it's
19 been installed on every piece that is within that
20 precinct or within that county. And it has been found
21 before that software has been installed, but it wasn't
22 installed in all of them, and then that caused problems

1 on election day. So this gives you the ability to
2 verify what software you have in the equipment. Does
3 that help?

4 MR. GAYLE: Well, that does help, Commissioner.
5 But I guess I'm still struggling with the thought of
6 whether these are for the purpose of new equipment
7 that's being set up for use to ensure that all these
8 different configurations are present as opposed to what
9 you just suggested, and that's existing equipment that
10 maybe wasn't certified under the new 2005 guidelines
11 that's going to have new software installed. It sounds
12 like you're talking about equipment that's under ongoing
13 use and upgrade and update, and so these setup
14 validations would apply to that as well?

15 COMMISSIONER DAVIDSON: No. What we're talking
16 about, I mean, with the standards that we're talking
17 about developing now is the future. How it's working
18 right now obviously is going to continue working with
19 the VVS 2005, or if you're certified to 2002. But what
20 they're doing here is talking about the future. It may
21 be four years out before your equipment will be able to
22 tell you if you've got software that is updated. You

1 know, I don't know what the timeframe will be right now,
2 because as we've said it probably won't be adopted until
3 '08, and then we've got to have the meetings with the
4 manufacturers and everybody to see how long it's going
5 to be before you can develop this, and how long is it
6 going to be before we can expect this to be purchased by
7 jurisdictions. So we're talking about the future. It's
8 not changing the past, what we're using right now. This
9 is the future.

10 MR. GAYLE: Then I guess you would be the right one
11 to answer my question. One of my concerns is that we
12 maintain a bright line or a fine line between election
13 administration and election management guidelines. And
14 so there are a lot of ongoing setup requirements that
15 are going to be election management issues, not
16 equipment issues.

17 COMMISSIONER DAVIDSON: Correct.

18 MR. GAYLE: So if I'm clear about the setup
19 validation, we're talking about precisely the equipment
20 to ensure that it has what it's promised to have --

21 COMMISSIONER DAVIDSON: Correct.

22 MR. GAYLE: -- post-certification and testing, or

1 post-testing and certification?

2 MR. RIVEST: Maybe I could add for clarification?

3 MR. CHAIRMAN: Yes. If I could ask people to also
4 give their names just so the record will be easier.

5 MR. RIVEST: Ron Rivest speaking. To try to help
6 out, I view the setup validation as being sort of the
7 updating of the zero tape situation. With a zero tape,
8 you're checking that certain portions of the machine are
9 set properly at the beginning of election day, that the
10 counts are correct. But with the modern machines,
11 there's many more moving parts to them, software, many
12 other things. And you want to make sure that those are
13 in the proper state as well. And sometimes you could do
14 it as analogous to the capability of printing out a zero
15 tape, but it's just checking many more things.

16 CHAIRMAN: Are there any other questions for
17 Nelson? Okay. Thank you.

18 MR. HASTINGS: Thank you.

19 MR. CHAIRMAN: Next is the discussion on
20 cryptography requirements.

21 MR. BURR: Good morning. I'm Bill Burr, and I get
22 to do the exciting part, I guess, to try to make

1 comprehensible the incomprehensible, something like
2 that. When you do a talk like this, the sad fact is
3 that you're either talking over or under somebody all
4 the time. And I don't want to do a talk where I say,
5 this is all magic, I'm a wizard, trust me. By the same
6 token, for all of us at some level of cryptography we
7 cease to be wizards and we have to rely on somebody
8 whose expertise is deeper or better than ours, because
9 various things become very specialized. And there are
10 only a few people often in the world who really seem to
11 understand the guts of certain things.

12 In any event, what I'm going to talk about here is
13 the cryptography section as it stands now in this
14 current draft. I'm going to walk through what's in it.
15 It's going to be a fairly high-level walk through. I've
16 actually got probably more detail on the slides than
17 I'm going to try to address specifically. But I'm going
18 to point out what I think are the major implications.
19 And in this particular draft of the document, as Nelson
20 noted we have taken the tutorial stuff that was in
21 earlier versions out, I guess largely because in a
22 standard of this sort organized requirement by

1 requirement by requirement, it's hard to see how to fit
2 a tutorial in. And in any event, you know, the
3 straightforward way to specify this is to write the
4 specification for people who are knowledgeable in the
5 art, and that's what I've tried to do. So I'm going to
6 try to explain here the logic behind what I'm doing. I
7 don't expect election officials to read the cryptograph
8 section and get a tremendous amount out of it directly.
9 I expect people who implement cryptographic stuff to
10 read it and understand what I'm talking about.

11 So the first part of the cryptography section just
12 sets some basic ground rules. And the first and most
13 fundamental one is that all the cryptography will be
14 done in a validated cryptographic module. FIPS 140 is a
15 Federal Information Processing Standard that outlines a
16 schema for testing cryptographic modules, and it
17 includes a list of approved modules or approved
18 algorithms. And we have a bunch of labs that are
19 actually quite practiced at doing this, and so it seems
20 an obvious thing to do to take your cryptography and
21 plug into the existing federal -

22 **(END OF AUDIOTAPE 1, SIDE B)**

1 * * * * *

2 **(START OF AUDIOTAPE 2, SIDE A)**

3 MR. BURR: -- have. And then you know at least
4 that the guts of it is good, sound, cryptography. Now,
5 it's never the least bit difficult to take good, sound
6 cryptography and use it in a way that's totally
7 insecure, but at least that's a start. The other sort
8 of general requirement is we specified a minimum of what
9 we call 112-bit cryptography. And all that really means
10 is the generation of cryptography that we're requiring
11 for federal use, which we think will be good for at
12 least another 20 years or so -- beyond that it's
13 actually very hard to make long-term projections. And
14 things like quantum computers cause almost a see change
15 in what's secure and what isn't. And now we have
16 stronger stuff we could give you that might be secure
17 longer than that even, but there doesn't seem to be much
18 point to it. And so that's a list of the algorithms up
19 there. I'm not going to walk through them. The NIST
20 (indiscernible) 157 tells you in some detail what this
21 is. You could use the stronger stuff if you wanted to.
22 It wouldn't bother us.

1 So what's a crypto module? I thought it would be
2 worth talking about that specifically. And it's
3 basically a separate, distinct program or a device, a
4 piece of hardware, in which you do just basically
5 cryptography. And we have mentioned a test program.
6 And the big distinction I want to make here is that,
7 roughly speaking, you can break modules into two kinds
8 of things: software modules and hardware modules.

9 And so a hardware module is its own, dedicated
10 little piece of hardware in which you do nothing but
11 cryptography. And typically it's a little
12 microcomputer. Basically, inherently not very different
13 than any other little microcomputer, a \$2 part
14 basically, in many cases, once you reach sufficient
15 volume. What we're doing here is fairly conventional,
16 which is to say most of the cryptography that you do in
17 a voting system you can do in software as a part of the
18 general software system that you're running. However,
19 we're identifying particular digital signature functions
20 that are what actually protects audit information as
21 having to be done in a dedicated hardware module. And
22 the reason for that is basically because it gives you an

1 extra measure of protection against problems in the
2 overall software system and the possibility that there's
3 malicious code in the overall voting system code. It
4 isolates that in a separate little, fairly well-
5 protected sandbox.

6 So I wanted to give -- yes, Dan?

7 MR. FLATER: Just to clarify what I think I heard
8 in one aspect of it. So we're specifying certain
9 cryptographic algorithms and we expect over time -- your
10 estimate currently is like 2010 or something, but it
11 could be sooner, it could be later -- one might have to
12 upgrade those algorithms?

13 MR. BURR: No. Well, let me -- the 2010 date is
14 the date by which we're trying to kill the old
15 generation of stuff that we've had in the federal
16 government since the 1990's.

17 MR. FLATER: Okay. Got you.

18 MR. BURR: And that isn't even included here.

19 MR. FLATER: Okay.

20 MR. BURR: There's no point in introducing in a
21 standard that probably won't even come to use until 2010
22 cryptography that we'd like to kill off.

1 MR. FLATER: But we are talking about something
2 which can change over time, the algorithms. And you
3 introduced the idea of modules. So are we introducing
4 the idea that the guidelines will be that these systems
5 should be designed such that they're modular enough that
6 at given points in time you'll be able to swap the
7 algorithms?

8 MR. BURR: Well, certainly that's relatively easy
9 to do with software modules. Actually this is something
10 we should get clear. The notion of the hardware module
11 is that certain signature functions are built into the
12 hardware and they don't get changed at all during the
13 life of a machine. And so at some point you'd have to
14 have a new voting machine to replace that, and I'm
15 saying we think we've got at least 20 years of good
16 security in the cryptography. And the thing that really
17 puts the damper on all of this is the possibility of
18 Quantum computers, which fundamentally affect the
19 security of all the public key algorithms we use today.
20 And that's why I'm not willing to go any more than 20
21 years in my estimate.

22 MR. FLATER: So you're not requiring the ability to

1 upgrade it? You're just saying that at a certain period
2 of time (indiscernible).

3 MR. BURR: I'm saying that at some point, you know,
4 in another 20 years, then -- this is the computer world
5 and I realize that the election machines have
6 traditionally been used for very long periods of time.
7 But I can't project security well enough to want to
8 specify anything beyond about a 20-year period or tell
9 you it's good.

10 So I wanted to say a little bit about public key
11 cryptography.

12 MR. CHAIRMAN: David, did you want to say
13 something?

14 MR. WAGNER: David Wagner. I'm not sure if you got
15 an answer to your question. I don't know if we've
16 discussed this among STS. My feeling is no, it
17 shouldn't be necessary to require the ability to do
18 field upgrades on your crypto algorithms to voting
19 machines, that crypto, as Bill explained as well enough
20 understood, that the crypto algorithms put in place
21 ought to last for the lifetime of the voting machine.

22 (UNIDENTIFIED SPEAKER): Right. That's the

1 clarification I got.

2 MR. BURR: But the only thing that really this
3 really requires that puts a limitation on that is the
4 signature part of the hardware module, because it will
5 be easy enough to replace anything that's done in
6 software, which in most cases is what people will choose
7 to do, because the truth is, the processor in your
8 overall voting machine is likely to be rather more
9 powerful than the one in the signature module itself.
10 And because basically the -- what we're requiring the
11 hardware module to do is very specialized. So there's
12 a lot of things that could be upgraded but, you know, I
13 don't see any real that they should be any time soon.

14 So now, public key cryptography, this is something
15 that's actually pretty recent. It didn't exist really
16 30 years ago, but I think by now just about everybody
17 has heard of it one way or another. And of course it
18 goes with this sort of awful initials, PKI, that kind of
19 terrify people. And the concept is really pretty
20 simple. You have two mathematically related keys.
21 There's a public key that you can make public, and it's
22 usually presented in something called a public key

1 certificate. And you can use this public key to either
2 encrypt data or to verify a digital signature. And then
3 associated with it you have a private key, and that
4 really has to be kept a secret. With that private key
5 you can either decrypt encrypted data or you can use it
6 to sign a digital signature.

7 And it's the digital signature operation that's the
8 key operation for what we want to do here. If you think
9 about it, for most -- I wouldn't say for all, but for
10 most election systems, I don't think there's an awful
11 lot you're going to actually be encrypting. Possibly if
12 you send results electronically back to an accounting
13 center or whatever, you'll want to encrypt them while
14 they're traveling over a network, or something like
15 that. And in some kinds of schemes, we might get into a
16 -- when we go beyond the innovation class systems,
17 there'll probably be more uses for encryption. But the
18 big thing here that we really want to use cryptography
19 to do is to protect and authenticate records in terms of
20 guaranteeing their authenticity and they haven't been
21 altered.

22 So I guess I've already talked about digital

1 signatures at this point. So what we do with the
2 digital signature basically is first we generate
3 something called a hash of whatever it is we're going to
4 sign, a relatively short, compressed representation of
5 it typically. In the next generation of stuff that
6 we're introducing here, 256 bit digest of the message.
7 Then we apply the private key to it and we get out the
8 signature.

9 And so if you want to think about what actually
10 goes in on the voting machine typically, the general
11 software of the voting machine probably does this hash.
12 And then it passes the hash to the little hardware
13 module that I've already mentioned to actually perform
14 the signature operation. And that's basically what's
15 going on. With signature verification, whoever's
16 verifying the signature takes a look at the message,
17 generates that same hash from the text of the message,
18 then applies the public key to the signature field on
19 the message, and at least in the simplest scheme,
20 compares the hash that it then gets as a result to the
21 hash that's on the message. And if the two are the same,
22 the message verifies.

1 The verifier then knows that he has an authentic
2 message if he had the right public key, and that not a
3 single bit of that message has been altered in any way
4 since it was signed. So this authenticates the message.
5 And the practical implication of it is that it largely
6 eliminates chain-of-custody issues. If you've got a
7 good, signed message you really shouldn't care how you
8 got it. Whether it was sent by passenger pigeon or just
9 given to you or you found it on the street, if you can
10 verify the signature, you've got a really strong check
11 that it's an authentic message and it hasn't been
12 altered.

13 So the point is, up until you apply a digital
14 signature or some other cryptographic technique to data,
15 there's nothing in the world more fungible, alterable,
16 forgeable, changeable than data. But once you put a
17 good electronic signature on it in a signature scheme,
18 you've really locked it down in a way that's actually
19 stronger than you typically get with paper, because with
20 paper you're looking at a document and it's providence
21 and how it was cared for. And then if you're worried
22 about somebody altering it, you're looking at very

1 detailed forensic evidence to see if you can find
2 evidence of alteration, or evidence that the paper is
3 forged somehow, that the whole thing is a fabrication.

4 But with a digital signature you really lock things
5 up in a good, solid, very easily-verified format. So
6 we're interested in this because we want to produce
7 electronic records, particularly audit records, that we
8 can sign and be pretty darned sure that they haven't
9 been messed with, fabricated, forged, altered, changed
10 in any way since they were signed.

11 MR. CHAIRMAN: Hold on a second, please.

12 MR. GAYLE: John Gayle from Nebraska, Secretary of
13 State. Just so I can catch up with you then, what
14 you're talking about here is really an auditing, post-
15 election function, the transmission of information by
16 some method that needs to be encrypted to ensure its
17 integrity while it's being transmitted? So we're not
18 talking about a function during the election.

19 MR. BURR: I'm talking about signing the data as
20 you create the audit records during the election. And
21 then whenever someone, say, examines those audit
22 records, being able to verify those signatures and

1 verify the authenticity of that data.

2 MR. GAYLE: And we're primarily talking about DRE
3 equipment then, I presume?

4 MR. BURR: We're talking -- yes.

5 MR. GAYLE: That has a digital scheme.

6 MR. BURR: If you look at what's -- and what will
7 follow in John's talk, what we're interested in being
8 able to do more than anything is with DRE equipment and
9 the human-verifiable paper audit trails, we want to be
10 able to rigorously cross check them. And we want to be
11 sure that the electronic audit records that we're cross
12 checking have not been diddled with somehow. And so --

13 MR. GAYLE: I'm going to ask a lot of probably what
14 sound like kindergarten questions, but I've got to ask
15 them on behalf of election officials who don't
16 understand this any better than I do. And I've been
17 reading the minutes and the resolutions in the material
18 prodigiously, and some of these things are still
19 confusing. But what we're talking about is the outcome,
20 I guess, the result that you want to audit. We have the
21 voter-verifiable question as one form of auditing, but
22 that's not what we're talking about, where the voter

1 attempts to verify what he cast. You're talking about a
2 different form of authenticating the outcome, is that
3 correct, with your cryptology?

4 MR. BURR: What I'm talking about is using the
5 cryptography to create electronic records that can be
6 carefully authenticated or fully or completely
7 authenticated, so that in a layer-audit stage where
8 you're actually comparing typically the paper to the
9 electronics and making sure that they're consistent,
10 then that you can be sure that the electronic part of it
11 is authentic.

12 MR. GAYLE: So its' -- let me just finish my
13 question. John Gayle. So we're talking about a triad
14 here of voter verification on one hand. In the course
15 of the election cycle if errors arise, hopefully a voter
16 checking their ballot representation might see an error.
17 Then you also have the paper trail so that you have
18 another form of verifying a digital vote cast that can
19 be used for recount, for example, or for partial audit.
20 And what you're talking about is, I think, a third thing
21 which is to make the source code or the security of the
22 digital imprinting so safe and so secure that it's

1 beyond question, beyond debate as securing the
2 signatures, I guess you call them, with integrity for
3 recount or for some other purpose.

4 MR. BURR: What you want to know is what machine it
5 came from and that since it was produced by that machine
6 it hasn't been altered at all. And what we're actually
7 worried about being able to reliably catch more than
8 anything is the possibility of malicious code in the
9 voting machine of printing one thing on the paper and
10 putting something out electronically that's different.
11 And overall we're just trying to come up with a system
12 of -- I mean, this is really John's talk, not mine. And
13 he'll go into this in some gory detail.

14 MR. GAYLE: As we say in court, though, you're our
15 present witness.

16 (Laughter.)

17 MR. BURR: I'm the present witness but the present
18 witness isn't as well prepared to --

19 MR. CHAIRMAN: Feel free to have John come up next
20 to you to help answer the questions as well.

21 UNIDENTIFIED INDIVIDUAL: Could I comment?

22 MR. BURR: Certainly.

1 UNIDENTIFIED INDIVIDUAL: Maybe it would help to
2 understand the purpose of the cryptography here. Maybe
3 I can relate this to some things that we currently do
4 procedurally in our current voting system. When you
5 close the polls on many voting machines, typically
6 there's some memory card or movable storage media where
7 the votes are stored electronically on that memory card.
8 And then it's very common in many places that memory
9 card will be transported by poll workers back to county
10 headquarters. And many places have a chain-of-custody
11 requirement. There have to be two people accompanying
12 that memory card or other requirements to ensure that
13 it's not tampered with while it's in transit.

14 One of the things that cryptography can do for you
15 is to protect that data using mathematics in a way that
16 prevents tampering with the data on that memory card
17 while it's in transit after you've closed the polls
18 while it's being transported to the county headquarters
19 or being stored there. So what that does is it reduces
20 or maybe even eliminates the requirement for this two-
21 person control on the memory card. It eliminates the
22 opportunity for swapping of memory cards or sort of

1 modifying the data on the memory card while it's in
2 transit. This is a different issue from the voter
3 verification. This doesn't ensure that the vote was
4 recorded initially as the voter intended. It just means
5 that while it's in transit, it's not going to be
6 tampered with.

7 MR. GAYLE: Well, that's why I asked the question
8 about the transmission issue. This is a transmission
9 issue --

10 MR. BURR: It's a transmission --

11 MR. GAYLE: -- moving the end result to some other
12 tabulating or counting center. Is this what then we
13 talk about in terms of hard wiring each machine so that
14 it has a very specific encryption and can only be used
15 for that particular precinct? It doesn't have mobility.
16 Is that what you're talking --

17 MR. BURR: I'm not trying to do that in this.
18 We're certainly, definitely not trying to do that. We
19 are trying to be sure that you can always tell which
20 machine actually generated these records. But we're not
21 trying to actually, in the cryptography section for
22 sure, specify anything about whether one machine is

1 producing records that are somehow tied to a particular
2 polling place or not. That's kind of beyond the purview
3 I think of certainly a cryptography module. And I
4 suppose people might want to choose to set things up
5 that way, but it's not the intent of this document to
6 pin you down like that at all.

7 MR. GAYLE: Thank you. I don't have any other
8 questions other than this is very helpful to me, and I
9 appreciate your explanation then.

10 MS. QUISENBERRY: This is Whitney. If I could just
11 ask, I know there are some questions about fingerprints,
12 but are you essentially saying that each machine has a
13 unique identity that can be known? And so that if I've
14 decided that Machine 1 is in Precinct 25 and I get
15 results back and it says it's from Precinct 26, I know
16 that that -- let me back up -- I know that the results I
17 got came from that machine and not from other source?

18 MR. BURR: You know what machine it came from. If
19 you thought the machine was in Precinct 25 and the
20 ballot on it says it's 26 somehow, the other information
21 on it, you've got an inconsistency in your records
22 somewhere and you ought to be looking into something.

1 But this is above the level of the cryptography spec.
2 The cryptography spec is just saying it's authentic.

3 MS. QUISENBERRY: Right. So again, you're
4 providing a capability that can be used as part of
5 election process, rather than requiring election
6 process?

7 MR. BURR: Right. That's the idea. And so I've
8 already talked a good bit about the signature module.
9 It's a separate chip, a separate microcomputer, a
10 couple-dollar part once you get it in volume, but of
11 course there'll be some serious development costs
12 associated with making sure you've got it right in the
13 first place. And one of the things that we've chosen to
14 do in specking this is to require that it generate its
15 own keys, because we want to try and make the operation
16 of this thing as sort of seamless and transparent as
17 possible, and also because having it do that actually
18 eliminates a number of ways that people could attempt to
19 diddle the system and manipulate the keys. So the
20 private keys that are used in the signing operations,
21 the idea is to design the module so that the private
22 part of the key is generated on the module and it never

1 leaves the module. And this is one of the ways that we
2 help to prevent the effects of malicious overall system
3 code or code that's been compromised from tampering with
4 the results successfully.

5 MS. QUISENBERRY: Sorry. When we say hardware, I
6 know that I have some pieces of software that require me
7 to plug something into my machine and the software won't
8 run unless I can prove that I have the one and only
9 little hardware thingy that I plug in. Is that the sort
10 of -- I mean, I know they're probably not the exactly
11 same strength, but is that the sort of thing we're
12 talking about?

13 MR. BURR: What I mean in this particular case is
14 that this is not something you plug onto the machine.
15 It's something that's actually permanently soldered into
16 the machine, so that you can think of it as -- or when
17 we reach a high enough level of integration in these
18 parts, it might be just a separate little piece of the
19 actual chip that does everything. But it's a separate,
20 physically distinct device that is probably in most
21 cases a separate little microcomputer with its own
22 memory.

1 MR. CHAIRMAN: Bill -- I think the answer is yes.

2 MR. BURR: Okay. Fair enough. The answer is yes.

3 So this is just a list of the capabilities of the
4 signature module. It has to generate the key pairs that
5 imply some stuff about requiring a random number
6 generator on the device. It has to be able to -- it is
7 a public key certificate that identifies the public key
8 and it has to be able to store and output that and to
9 create those. And everything else really can be done
10 that you want to do cryptographically. And there's a
11 surprising amount of cryptography that goes on in any
12 computer system, whether you know it or not. It can
13 just be done in general software on the voting machine.

14 UNIDENTIFIED INDIVIDUAL: Just for amplification,
15 generally speaking it is good practice to have this
16 signature module be in hardware that cannot be
17 accessible by anything else, because what's fundamental
18 is that that private key that he's talking about can't
19 be known by anybody or accessible by anybody because
20 that's what's taking these elements of the record and
21 binding it, signing it, so that in that transit it can't
22 change it. So you want to make sure that nobody can

1 have any software where they can sort of access that key
2 or make that new signing, because then that could tamper
3 it. I mean, then I could find a key and somebody's
4 doing the transit and I could modify and they could
5 resign it. But if it's embedded in that machine and you
6 can't pull it out and you can't access it and find out
7 the private key, then you've achieved the objective. So
8 for most applications in banking and so forth, we always
9 insist that the private key be in hardware not
10 accessible by anything.

11 MR. GAYLE: If I may, Dr. Jeffrey. John Gayle,
12 Secretary of State, Nebraska. Well, this I guess is a
13 bit of my concern, and maybe it's not justified. But in
14 virtually every election, there's a lot of mobility of
15 equipment between precincts. One precinct has doubled
16 in size over the course of this summer and equipment
17 needs to be assigned to that precinct. I just want to
18 be sure that we're not encrypting machines in such a way
19 they can only be used in a particular precinct and don't
20 have the mobility that we're used to having.

21 UNIDENTIFIED INDIVIDUAL: If I can respond to that,
22 yes, that's an interesting concern, but it's not one

1 that's a problem here. The goal here is really to give
2 every machine its own identity so you know what data
3 comes from that machine. The roles and the positions,
4 the precincts, what those machines do, whether they're
5 agnious (phonetic sp.) tabulators or vote-capture
6 devices or something, all of that is a higher level of
7 management. And there's absolutely no intent here that
8 any of this should eliminate any of that flexibility
9 that you may want to have in managing election to the
10 best use of the equipment.

11 MR. GAYLE: Thank you. That's very helpful.

12 MR. BURR: So the next couple of slides talk about
13 the way we're managing keys that we're creating on these
14 modules. And basically there's two kinds of keys:
15 there's a long-term device signature key that basically
16 we're requiring it comes from the device with the
17 factory, it lasts the life of the device. And then
18 there's a short-term signature key that's created for
19 each separate election as a part of the start-up process
20 for the election. And it used to sign the records for a
21 single election, and then when you close the machine out
22 at the end of the election the key is destroyed. So it

1 doesn't exist anymore. It can't be used by somebody,
2 even if he gets possession of the machine to later
3 fabricate another version of the records for that
4 election.

5 So that's the scheme. It's intended that if
6 somebody does a good job of implementing it, it's almost
7 transparent that this is going on in terms of, you have
8 to set machines up for elections anyhow. And it should
9 be an automatic process to generate these keys. You
10 have to close machines out at the end of elections, and
11 the destruction of the key should be an automatic
12 process. And the necessary records should be
13 automatically created as part of these things so that
14 the actual people doing this should hardly even be aware
15 that this is going on. That's the intention.

16 The device signature key, which is the permanent
17 key, the one other requirement is that it include in the
18 certificate that goes with it the manufacturer model and
19 serial number, at least whatever the actual identifier
20 of the machine is, and that same nomenclature appear on
21 the outside of the device so that then it's relatively
22 easy to match the two up. If you have the electronic

1 version of the certificate that tells what the public
2 key is, you should be able by just looking at the
3 outside of the machine to know which voting machine that
4 applies to is the intention.

5 The election signature key as I said is generated
6 per election. And one important point is that you keep
7 counts of the number of keys of these that you generate
8 and the number of times that each private key is used.
9 And as a part of the auditing process, you should be
10 able to account for every certificate you create. And
11 every time you sign something you'll have to be able to
12 produce the record that was signed when you did that.

13 When you close the election out, you produce a
14 signed-out that tells how many times that the key was
15 used and the key gets erased. So the idea is to be able
16 to account for all of the audit records. And they give
17 you automatically in this little hardware module
18 everything that you need to do that.

19 So the basic summary of this is we are calling for
20 a hardware module to do signatures. That adds some
21 extra cost to the voting machine as opposed to doing it
22 in software. It gives us extra protection against

1 software that's been tampered with or people who
2 actually get physical control of the voting machines.
3 There's a permanent key that is associated with the
4 device. There's a new key for each election. And we've
5 tried to do everything so that it adds, that the
6 management of these keys adds very little extra to the
7 overhead that's already involved in setting up the
8 machines, running them, and closing them up.

9 And that's basically the whole talk.

10 MR. CHAIRMAN: Thank you for Crypto 101. Are there
11 any additional comments or questions? Obviously it's
12 very detailed. It's a very important section, certainly
13 not something in the normal vernacular and issues that
14 people deal with, and again if implemented properly
15 would be essentially transparent but will ensure
16 integrity of electronic records. Are there any other
17 comments or questions? John?

18 MR. KELSEY: So I'm going to be doing the opposite
19 of what Bill was doing. He was talking to you about
20 something that mostly, you know, we're experts in and
21 most of you aren't. And I'm going to talk about
22 something that I'm not an expert in and you guys are.

1 So it's going to be a little different. This is like
2 the student getting to teach the class but the teacher's
3 in it, or something.

4 So this is a talk on equipment requirements that
5 support required auditing steps. So I want to be clear
6 up front. What we're talking about here is requirements
7 on the equipment to make sure that they can support
8 these auditing steps that address known attacks, known
9 threats. So we know that there are threats to voting
10 systems that can only be addressed procedurally, right?
11 That's pretty obvious. Everybody knows that's involved
12 in elections. And with this nice requirement for
13 software independence from the previous TGDC meeting,
14 software independence means that the voting system, that
15 an attack that is involved in just tampering with the
16 software on the voting machine can be detected, that
17 it's possible to see from the behavior of the voting
18 machine that there's an attack going on or an attack has
19 happened.

20 And what we want to do here is talk about what is
21 required, what procedures have to be supported so that
22 it will be detected with high probability. So basically

1 this amounts to requirements on the equipment, kind of
2 requirements on what the equipment does, on the
3 documentation, and on how the equipment is tested. And
4 at a high level, all of this is going to apply to the
5 innovation class, but of course we don't really know
6 much about what that's going to look like yet, so it's
7 hard to nail any of that down.

8 Part of the threats we're addressing, mostly what
9 we're talking about here is threats that involve
10 tampering with the software on the voting machines. So
11 we want to say, given that we have these voting machines
12 that have that paper record that the voters can verify,
13 what could happen if somebody tampered with the
14 software, and then what defenses are there to make sure
15 that that would be detected. And then, like I said, we
16 want to make sure that those defenses can be used by
17 election officials, given what the equipment does.

18 So at a high level, what we're really doing is,
19 there are two different kinds of attacks that we're
20 worried about that involve tampering of the software.
21 One kind messes up the agreement between records that we
22 have. So, for example, if the voting machine just

1 silently changes a vote -- so you think you voted for
2 Smith and it records a vote for Jones electronically and
3 prints a vote for Smith -- there'll be a discrepancy in
4 the records. The electronic records in the voting
5 machine will say one thing, the paper records will say
6 something else. And if you check those records against
7 each other, you'll catch the attack.

8 The other kind of attack that we worry about
9 involves the presentation of the choices to the voter
10 and the machine behavior. So, for example, if the
11 machine introduces errors that kind of favor one
12 candidate over the other or one question or one outcome
13 over another, or in the case of observational testing,
14 if the machine sometimes just tells you that you're
15 voting for Smith and then prints a vote for Jones on the
16 paper record and records it electronically, those are
17 things we want to make sure we can catch.

18 And so there are two different kinds of classes of
19 attacks and two different kinds of classes of auditing
20 steps that would be supported.

21 Let me just skip ahead to the diagram here because
22 it's a lot nicer, if I can get it up here. It doesn't

1 quite fit on the screen. This is a picture I put in to
2 try to explain some of what we're doing here. The idea
3 here is these three blued areas are sets of records that
4 are produced by the voting system, by different parts of
5 the voting system. And I'm not sure this is exactly the
6 right way to refer to these, of right, proper, technical
7 terms, but the idea is there's this process where voters
8 check in, there's something entered in the poll book.
9 And at least normally it's a manual process. So you've
10 got this sort of poll book audit, this ballot accounting
11 that needs to be able to be done so that you can verify
12 that the number of ballots that were cast is not way
13 higher than the number of voters that came in. That
14 would be an obvious problem. And that each kind of
15 vote, each kind of ballot, you know how many of them
16 were given out, how many were received.

17 You have this requirement for this check that is a
18 hand audit that we normally talk about with paper
19 records where you're just looking at the voter-
20 verifiable paper records, looking at the electronic
21 records that are kind of the summary or the outcome of
22 the election for that machine or that precinct or

1 whatever, and checking them and making sure that they're
2 the same, that they agree. And there's also this kind
3 of check here where you're going to make sure that the
4 electronic summary of votes wound up correctly in the
5 final election report. That's part of the canvassing
6 process, I think, to look at that (indiscernible) make
7 sure that the available security is there, that all the
8 voting equipment provides all the information necessary
9 in these reports to make these audits as easy as
10 possible, and that we get the advantages of security, in
11 particular going from here to here because we digitally
12 signed this in this nice way.

13 These are all kind of, I think, motherhood and
14 apple pie requirements. I don't think there's anything
15 that's very controversial in these first three at all.
16 So poll book audit -- and really what we want to do is
17 make sure that the voting system provides enough
18 information that we can catch it if, for example, a
19 voting machine -- say that you have a voting machine
20 with the VVPAT. If it were to wait until a quiet time
21 when nobody was watching and then electronically record
22 and print out three or four extra votes, you'd want to

1 make sure that that got caught. And this is how you
2 catch that. And so you just want to make sure that the
3 different summary records or the different records from
4 the system give you enough information that you would
5 reliable catch that, or that you could if you did these
6 auditing steps.

7 And so the picture here is you just want to make
8 sure that ideally this election report that comes out of
9 this tallying process gives you this breakdown by
10 polling place of how many of each kind of ballots were
11 cast. And you can check that in a fairly
12 straightforward way. If there's other information that
13 needs to be included to make this work out, I'd like to
14 get some feedback on that.

15 The other thing that's going to happen is we want
16 to make sure that it's possible to take these electronic
17 summary records and make sure that all of the same
18 information is included from everywhere. So, for
19 example, all this information about how many ballots of
20 each type has to be available from the set of paper
21 records, the set of electronic records from each
22 machine, and the final report so that you can make sure

1 that they're all in agreement when you do each of the
2 auditing steps.

3 Similar things with the hand audit, essentially I
4 was kind of surprised that this -- and the ESI report on
5 the Kihoga (phonetic spelling) County recounts, there
6 actually were some pretty surprising problems as far as
7 not having all of the information necessary on the paper
8 records to unambiguously figure out which paper record
9 went with which machine and with which electronic
10 record. And so we want to make sure that that's
11 required, that every paper -- that if you have a paper
12 roll, that each paper roll has to have the identity of
13 the machine on it, which election, which ballot styles
14 are used, all that stuff. And then you have to deal
15 with marking the write-ins and provisionals, because
16 those have to be handled differently.

17 And the final election report also needs to show --
18 you break this information down. It needs to be
19 possible for the tallying process to provide you with a
20 breakdown by voting machine or by polling place or
21 precinct, depending on at what level you're going to do
22 this count. As a rule, what you want to make the count

1 reasonable is the smallest set of paper records at a
2 time that you can count. You don't want to require
3 people to hand recount everything from the entire
4 polling place. So it's all pretty straightforward.

5 The last bit is where we get into some of the
6 cryptography. And Bill's already kind of talked about
7 that. The idea is you want to be able to reconcile that
8 the final election report included the totals for each
9 machine and all the information you need to verify that
10 it was included correctly. So the idea here is these
11 electronic summaries are digitally signed, and they're
12 digitally signed in a way that is bound to a specific
13 election and to a specific machine.

14 So once these are produced, it's kind of committed
15 to by the machine and the machine loses the ability --
16 even if you were take the machine apart and get the key
17 out you couldn't go back and produce and backdate your
18 records. It's kind of a nice feature of this. And so
19 when we electronic summaries of the votes cast on the
20 voting machine and they're digitally signed and we have
21 this final election report, if we wanted to in principle
22 we could put these out in the public, we could post

1 these on the web or something and everybody could check
2 that this summary was actually included in here, that
3 each summary for each machine was included in the final
4 report. There are some privacy issues you'd have to
5 deal with there involving provisional ballots and
6 write-ins, because those won't have been resolved yet.
7 At the point where the machine commits to its totals, it
8 won't know how to resolve the provisional ballots. So
9 if they're included on the normal electronic record you
10 have to deal with that, and there are some ways of doing
11 that where you could aggregate those into a different
12 category on the final report.

13 But the (indiscernible) here is that this part
14 right here, I believe becomes much stronger because of
15 the cryptography, because now there's no question of --
16 you can look at this electronic summary, you can print
17 it out, and you can verify that it was included
18 correctly in the final report. And you can verify the
19 signature here and here. And it's kind of a nice, you
20 know, adds some verification that nothing's happened in
21 between the time when that was committed to and the time
22 when it was counted.

1 So as a summary, I don't think anything here is
2 very difficult or surprising. And I think mostly this
3 is done. We just want to make sure that it's written
4 down and that it's required. All the data needed for
5 these auditing steps that we know address specific
6 attacks needs to be included in the outputs and the
7 reports in the voting system. We want the electronic
8 records to be digitally signed because that adds
9 security at essentially no cost. It's just using the
10 existing tool exactly the way it's designed to be used.
11 I believe these requirements will have no impact or very
12 little impact on the cost of the voting equipment or
13 operating it, other than what's required to get the
14 crypto module in there. But everything else I think
15 it's just you change a little bit of software to make
16 sure you can generate all the right reports.

17 So you have any comments or questions on this part?

18 MR. MILLER: This is Paul Miller. I have a
19 question.

20 MR. KELSEY: Yes.

21 MR. MILLER: You made the comment about
22 unambiguously identifying the paper tape as part of the

1 VVPAT.

2 MR. KELSEY: Yes.

3 MR. MILLER: And you eluded to Kihoga County. In
4 terms of my analysis of Kihoga County, at least some of
5 that, my understanding comes from broken paper tapes
6 that they didn't get the second half of the tape
7 together with the first half, and that they switched
8 printer modules from one machine to another machine.
9 Are we contemplating some kind of requirement that the
10 machine be able to fence when a new paper roll has been
11 inserted and prints the identifying information at that
12 point in time?

13 MR. KELSEY: Yes. I know we've talked about that.
14 There are places where this touches on reliability
15 requirements, that I think are dealt with in core
16 requirements as far as like having the paper tear
17 easily, being able to change the paper rolls without
18 causing problems. But in the paper records requirement
19 that we've been working on, one requirement that we know
20 has to be there is that if you change paper rolls, the
21 machine has to know that you've changed paper rolls and
22 be able to print identifiers, machine identifiers and

1 everything on that paper roll. Dealing with the special
2 cases where you have a jam or the printer fails or
3 something, that probably needs more working out in what
4 we've written. But I think those are all really
5 important issues because that's the place where you're
6 going to get these breaks.

7 MR. MILLER: Okay. Thank you.

8 MR. GANNON: Where in the VVSG is all of this
9 auditing information requirements going to come in?

10 UNIDENTIFIED INDIVIDUAL: I believe -- John
11 (indiscernible) talked about this. I think there is
12 some question of whether it winds up in the security
13 section or in a later section. And I forget where it is
14 in the current outline. There's an entry for it
15 although it's not filled in yet because this is still in
16 the process of being edited. Actually the big concern
17 we have is this is something where we need a lot of
18 input from election officials, because they've actually
19 done these audits and they'll be able to point out
20 things we're missing.

21 MR. GANNON: I'm sorry. I didn't identify myself.
22 I'm Patrick Gannon. I have a follow-up question.

1 MR. KELSEY: Yes.

2 MR. GANNON: For electronic records, how is that
3 being addressed. I mean, so far the only thing we have
4 in there right now is interoperability and some high-
5 level requirements on interoperability of common data
6 formats.

7 MR. KELSEY: Right.

8 MR. GANNON: But where you have electronic records,
9 what are going to be the audit requirements around that?

10 MR. KELSEY: Well, the electronic records, we have
11 a chapter on electronic records that has been sent out
12 to the STS but hasn't been put out here. It's still
13 being worked on. One of the requirements we have there
14 is that the electronic records have to be produced in a
15 completely specified format, so that if you need to you
16 can write your own software. You don't have to just
17 depend on the vendor software to give you all the
18 information. There's been some thought about using like
19 the ML (indiscernible) and there are some issues with
20 that. I think Dave Flater can probably address those.
21 But there's a lot of detail there and I'm sure we can
22 get that out to you if you're interested.

1 (END OF AUDIOTAPE 2, SIDE A)

2 * * * * *

3 (START OF AUDIOTAPE 2, SIDE B)

4 MR. GAYLE: -- to perform their job it seems like
5 TGDC is starting to drift somewhat into the other half
6 of election conduct, half of which is equipment and the
7 other half is administration. And in looking at your
8 chart and looking at some of the procedures you're
9 suggesting, all seem to be far beyond the equipment.
10 They have to do with the conduct of the election
11 administration, which seems to be purely an Election
12 Assistance Commission issue and not a TGDC issue.

13 MR. KELSEY: Do you want to say something or do you
14 want me to?

15 MR. WAGNER: David Wagner. I'd say that's a very
16 fair concern. I don't see that as an issue here. My
17 sense is STS has asked NIST to look at, to go understand
18 what are the auditing procedures that are typically used
19 by election officials around the country and to develop
20 requirements to ensure the equipment can support those,
21 how election officials are using equipment. So this is
22 not at all, not by any means, mandating the procedures

1 that election officials would use or how election
2 officials have to do the audit. Rather, it's ensuing
3 the machines provide the information that election
4 officials would need to be able to do those audits and
5 to make it easier to do those audits. But whether those
6 audits are done and how they're done is entirely up to
7 the officials. It's not something the standard would
8 regulate or require, or have an impact on.

9 MR. GAYLE: Well, will you include this in TGDC
10 report to the EAC? Since it's not a standard that can
11 be tested to or certified to, it's up to state law and -
12 -

13 MR. WAGNER: David Wagner again. Maybe the way to
14 explain this is that this survey of audit procedures is
15 the background that will inform the drafting of
16 requirements for equipment specifications. And what
17 those equipment specifications might say are things
18 like, the machine ID must be printed on any VVPAT
19 record. And that was then informed by the research, the
20 survey of audit procedures which came out of that survey
21 where it was discovered, oh, election officials are
22 having a hard time using these VVPAT records to do

1 audits because it didn't have a machine identifier
2 printed. So that is a requirement that we can make on
3 the equipment that is testable and can support the
4 election officials' needs.

5 MR. GAYLE: And that makes sense to me in terms of
6 helping ensure that the equipment provides the
7 availability of information to do audits. But to go
8 ahead and say, these are the kind of audits that you
9 should do, seems like we're beyond the equipment then or
10 the availability of information from the equipment.

11 MR. CHAIRMAN: This is Bill Jeffrey. The next
12 iteration of the VVSG will not include procedural issues
13 that are done at the state and local level and
14 (indiscernible). As David said, it would only ensure
15 that however you do it, hopefully somewhere we have
16 captured all of the data necessary so that your
17 implementation of your audits, you will have all the
18 information reliably with the fullest integrity. And so
19 in reality, the requirements will encompass things that
20 vendors will need to do that Nebraska won't use. You
21 may use a subset of it, Colorado may use a separate
22 subset of things. But it's a way to try to -- what he

1 was describing was trying to get an understanding of how
2 any audit is done so that all of the relevant data or
3 however you do it is captured. But it will not tell you
4 how the state of Nebraska would ever do an audit.

5 MR. GAYLE: And that was my concern, because the
6 EAC will be coming out with election management
7 guidelines sometime later this year, maybe about the
8 same time that this hits. And the two things need to be
9 compatible. If you're going to set some standards or
10 guidelines for how to conduct precinct audits, I think
11 we would be way --

12 MR. CHAIRMAN: Absolutely not. This is Bill
13 Jeffrey again. This is requirements on the hardware,
14 not on the procedures. Whatever procedures are
15 generated, it will hopefully have all of the data they
16 need. And what we're trying to do is capture it to make
17 sure that anything you could possibly want in your audit
18 is put into the requirements and put in such a way that
19 it is secure and integrity is assured.

20 MR. GAYLE: Thank you.

21 MS. PURCELL: If I could -- Helen Purcell, Maricopa
22 County, Arizona. If I might, Mr. Secretary, having just

1 gone through a hand audit in the last general election,
2 it would be impossible to do that if the equipment did
3 not give you, as they stated, the precinct number and
4 various identifiers that you had to have in order to do
5 the hand audit. Whether it's on electronic voting
6 machines or it's on your optical scan machines, and so
7 forth, you have to be able to identify that to complete
8 your audit. And it's a really important thing, I think,
9 that equipment has to be like that. And we also see in
10 the current session of Congress there are a number of
11 bills that will require states to do audits of some
12 type, mostly by hand.

13 MR. GAYLE: And I agree. I guess if you took --
14 this is John Gayle, Secretary of State, Nebraska. If
15 you took the example of the chip that's going to be
16 taken from the machine and then transported to a central
17 tabulating office, that chip needs to be encrypted to
18 identify the machine so it can be received and
19 identified at the counting office. But the issue of
20 whether two people accompany it or four people accompany
21 it or what kind of car they drive seems like that is not
22 an issue for TGDC. That's why I distinguish between the

1 two areas.

2 MR. KELSEY: Yes, I have to say I'm very deeply
3 aware of my ignorance in the depths of election
4 procedures, so I'm not going to try to write a
5 procedures manual. I wouldn't be qualified to do that.
6 So no question about that.

7 So if I can, I'd like to go ahead and talk about
8 the more complicated procedures. So we talked about the
9 ones that are just checking between records. These are
10 already done, and we're just kind of saying well, the
11 equipment has to give you all the information necessary
12 to do them.

13 And the second set here, we're talking about things
14 that either aren't done or they've just been done a
15 little bit like parallel testing. And a requirement
16 here is to verify that the machine is behaving correctly
17 in ways that wouldn't -- that it's not carrying out some
18 attack that wouldn't leave a discrepancy between
19 records. So let me talk about this. Even though you've
20 got a voter-verifiable paper record, machines can still
21 certainly misbehave. One of the obvious ways which you
22 hope that voters will catch in most cases is that it

1 could indicate a vote for Smith to you on the screen,
2 and it could print a vote for Jones on the paper and
3 also record a vote for Jones. There is now no
4 discrepancy between records, it's just that the voter
5 gets a chance to notice that. And there's an obvious
6 problem, because if you're blind then of course you're
7 not able to notice that, you can't look at the paper.
8 And you need either an additional procedural defense or
9 an additional technical defense to make sure that blind
10 voters can't have their votes stolen.

11 Another issue that you have is that the voting
12 machine could introduce sort of differential errors,
13 errors that favor one side over the other. There is, I
14 think, a known set of attacks on optical scan systems
15 where if you misprint the ballots a little bit you can
16 cause the scanner to catch the same vote for one
17 candidate and not for the other. So the same sort of
18 thing, there also have been problems with
19 (indiscernible) where the screens misalign by mistake
20 and you get these sort of errors. Well, in software you
21 could certainly simulate the errors. You could make the
22 errors benefit one candidate over the other. And so

1 that's something that you would want to be able to
2 catch.

3 There are other things that you can do as an
4 attacker trying to attack an election, even though
5 there's a paper record and it's being audited. And the
6 kind of nice thing about this is that mostly these
7 threats are easier to detect, because the voting machine
8 has to misbehave in the sight of the voter. So there's
9 a good chance that the voter, especially a voter who is
10 pretty aware of what the ballot's supposed to look like,
11 or somebody who's working in the election or something
12 is likely to notice there's something odd going here and
13 maybe complain. The problem you have is that when you
14 just have a few people complaining, it's not actually
15 clear what you do next. There's no clear place where
16 you can check two different sets of records or have some
17 procedure where at the end of it you know unambiguously
18 what's happened, that you're being attacked. And I
19 guess that's a pretty common situation.

20 The other issue is that the blind voters and a
21 whole set of voters who aren't able to verify the
22 printed record need some sort of additional defense, or

1 they don't have security against software attacks. One
2 comment I'll make about this is we don't have nearly as
3 much experience operationally with doing this kind of
4 thing. We have some experience with the states doing
5 parallel testing -- I know California has done that --
6 but not a lot. And the observational testing is a
7 defense we'll suggest here isn't something that's been
8 done before, as far as I know, formally, although I
9 think it's done informally.

10 We talk about observational testing. This is
11 something that's come out of the discussions about how
12 to implement the full resolution that we had on software
13 independence. We said that essentially, if I can
14 summarize it, that we want software independence and we
15 need it to work for blind voters, too, and it needs to
16 work for everybody. So the threat that you have is a
17 voting machine -- if there's tampered software on the
18 voting machine, the software could use the fact that
19 you're using an audio ballot or a screen magnifier or
20 something like that as a clue that you probably won't be
21 checking the paper. And so it could change your vote on
22 both the paper and electronic record, and if you can't

1 check it there is no way for that attack to be detected
2 because the records will all agree.

3 So there's sort of a simple procedure to address
4 this that gives you some reassurance that this is not
5 happening, which is to have a small number of authorized
6 voters volunteer to use the audio ballot or the screen
7 magnifier or whatever, and to carefully check the
8 printed record. And the goal here is, if you kind of
9 think about the attacks, the attack program can no
10 longer reliably just change the printed record and know
11 that it can get away with it. So 100 people in a state
12 checking this are very likely to catch any kind of an
13 attack that changes a large fraction of the votes.

14 And this is kind of a nice thing, just because the
15 actual requirement on the equipment is really minimal.
16 The requirement on the equipment is on the mechanism by
17 which you authorize the voter to vote on the voting
18 machine. It just has to be something where you don't
19 just hand blind voters a different kind of authorization
20 or something. It has to be possible for anybody to use
21 the audio ballot or the screen magnifier. And I think
22 that was already something we wanted to do.

1 Parallel testing is more problematic. It's a kind
2 of powerful defense against these attacks where the
3 voting machine misbehaves and tries to confuse the voter
4 or introduces errors in favor of one candidate or
5 something. But if you look at this, kind of the threat
6 here is the voting machine is doing something, is
7 misbehaving in some way that would only be detected if
8 you watched it carefully on election day. And the
9 assumption here is this isn't something that's caught by
10 normal testing. So we're in the realm of malice here,
11 we're in the realm of somebody putting software on the
12 machine that is actually going to wait until election
13 day and then misbehave only on that day. And so the
14 kind of defense which I think was proposed originally by
15 Mike Shamos is to do some testing on a few machines on
16 election day and see if they misbehave. And then of
17 course the requirement is that this has to look to the
18 voting machine just like a real voting, like a real
19 election.

20 So you can develop a lot of requirements here, but
21 at a high level if you want the parallel testing to
22 work, what has to happen is you have to be able to

1 isolate the voting machine so that it can't get any
2 communication from outside, so the person running the
3 attack can't tell it okay, you're being tested, don't
4 misbehave, and the voting machine mustn't detect that
5 it's being tested. And those are of course two high
6 level -- actually doing, to say anything directly about
7 the equipment. But we can go a little further down and
8 we can say, you know, if you want to make sure that you
9 can isolate the voting machine, that means that the
10 voting machine can't be talking to other devices in the
11 room, it can't be on a network. And that causes
12 problems, because then that limits the set of possible
13 designs.

14 So you kind of have some ideas of what you might
15 have to do in order to support this. But the
16 requirements to make sure that you can do parallel
17 testing are to actually impose some real constraints on
18 the design of the voting machines, and things like not
19 being able to network them, things like the way that you
20 do the authorization for voters to vote, it has to be
21 something that the testing team can completely take over
22 and use so that there's no way for the voting machine to

1 detect it's being tested.

2 This is something where we're still trying to
3 figure out what makes sense. And we need feedback and
4 we need discussion in the STS about this I think, about
5 does it make sense to require support for parallel
6 testing and how much.

7 The last piece of this is much simpler. If you
8 have a ballot marker that doesn't record, that doesn't
9 have any memory, you can do something a lot more like
10 observational testing. You can just have the voter --
11 or you can just have somebody go in and, during the
12 election, cast one test ballot on the thing, get a
13 printed ballot, and use procedural mechanisms to make
14 sure that that ballot that's been printed out is
15 correct, that that isn't included in the final total or
16 anything. And the only requirement on the equipment
17 there is just on the authentication mechanism again, to
18 make sure like the poll worker doesn't have some way
19 that they can tell the voting machine or the ballot
20 marker that it's being tested. And I think that's
21 pretty straightforward.

22 And that's it for this set of procedures to address

1 these presentation attacks. The observational testing
2 is straightforward and powerful. I don't know if it
3 resolves all the problems with that, but it's at least
4 something that's pretty straightforward and doesn't
5 impose a lot of requirements. The parallel testing
6 requirements are something where I think we need more
7 discussion, because we need to see if it make sense to
8 impose these requirements.

9 So is there discussion or questions?

10 MR. CHAIRMAN: Thank you, John. The other John.
11 Sorry.

12 MR. GAYLE: Thank you, Dr. Jeffrey. John Gayle,
13 Secretary of State. It seems to create and fabricate
14 all of these imaginative defenses to what seems to be an
15 issue with source code initially. If we're talking
16 about malicious attacks and not random bugs, from what I
17 read in the past minutes it sounded like it is difficult
18 to review source code for, let's call it a large
19 operation or a large system. But that what we're
20 talking about in terms of elections is we're talking
21 about maybe a megabyte of code, is what I read in the
22 minutes. I just take it from the minutes. In other

1 words, a small amount of information, a small amount of
2 code. Why isn't it possible, if we're going through the
3 testing of the source code as part of the certification
4 of equipment, why does it sound like there's such an
5 immense likelihood that you're going to have malicious
6 errors, virus in that code, which now we're constructing
7 a lot of defenses to deal with? Does that make sense?

8 MR. KELSEY: Yes, I understand your question.

9 UNIDENTIFIED INDIVIDUAL: Perhaps I could speak to
10 that? Yes, good question. I think that there's layers
11 of defense here and various kinds of threats. So the
12 source code review will be imperfect. The source code
13 is just too complicated to hope to catch all bugs there.
14 But I think the primary concern with parallel testing is
15 related to the set of validation issue, too. I mean,
16 the source code may have been manipulated as well. What
17 you have on that machine may not be what you thought you
18 had on that machine. So the question is, is the machine
19 behaving inappropriately for some other reason other
20 than what the source code may have said.

21 MR. GAYLE: John Gayle, Secretary of State. Well,
22 I guess I haven't seen any evidence that any of these

1 things we're talking about have occurred in any
2 equipment anywhere in any system. So we're really
3 constructing an issue here that's how many angels on the
4 head of a pin. How many ways can you protect against an
5 imaginary foe, the imaginary foe being malicious
6 construction of the source code by some evil person? It
7 just seems to me if we're going to spend all this money
8 on all of these back-up ways of auditing against source
9 code intrusion, why don't we just focus our attention on
10 preventing source code intrusion and not all of the
11 variables to prevent consequences?

12 MR. CHAIRMAN: David?

13 MR. WAGNER: David Wagner here. This is a very
14 long subject, and we spent a long time discussing it
15 during software dependence. And we could discuss it
16 again, to bring it back to John Kelsey's talk here,
17 there are many states and there are places that want to
18 do various kinds of testing of their equipment,
19 including parallel testing, including observational
20 testing, including other kinds of testing. So from the
21 point of view of the work that John Kelsey's doing, I
22 view this is as saying, if it is true that many places

1 want to do this kind of testing, then it's important
2 that the equipment be able to support that kind of
3 testing.

4 Now, maybe we could have a discussion about the
5 general security issues in general. I don't know if you
6 want to do that now or you want to do that some other
7 time.

8 MR. GAYLE: John Gayle, Secretary of State. Well,
9 I guess I'm just wondering because of the cost of the
10 testing, the certification of vendors who are going to
11 pass that on to all of my counties and every other
12 county in every other state, we're building in so many
13 redundancies here? We try to create zero-error
14 perfection, which we've never had in 200 years of our
15 democracy. Is this kind of a new standard we're setting
16 here with these guidelines, zero error, and we're going
17 to have everything tested to the point with so many
18 redundancies and audits that nobody maybe can afford it
19 to buy the equipment, but it's going to be a perfect
20 election?

21 MR. CHAIRMAN: John, could you -- this is Bill
22 Jeffrey. For clarification, when you say things are

1 expensive, like parallel testing is expensive, can you
2 say where that expense is? Is it in the up-front
3 hardware costs which would impact the states, or is it
4 in the actual implementation of the test, which is a
5 procedure that may or may not be done by the states? I
6 mean, where is that cost captured?

7 MR. KELSEY: Well, the cost that I know of, first
8 of all it imposes restrictions on the design because in
9 order to be able to do this thing where you cordon off
10 the voting machine on election day ideally, you've
11 constrained your design because now the machine can't be
12 talking to all the other machines, they can't all be on
13 a network or something. You also impose a lot of costs
14 which, I think if there's anybody here who's been
15 involved in parallel testing in an actual state, it
16 would be interesting to hear from them. But you have
17 cost in the sense that you now have to have a testing
18 team go out and do the parallel testing on election day.

19 MR. CHAIRMAN: That's my question, is if a state --
20 since we're not mandating again procedures, if a state
21 chose not to implement parallel testing, what is the
22 cost penalty because they had to buy equipment from the

1 vendors?

2 MR. KELSEY: I think the only cost there is it
3 constrains the design. So the vendors will have fewer
4 choices when they're designing the next generation of
5 voting machines. I don't know how to put a dollar cost
6 on that at all. I have no idea at all.

7 MR. MILLER: This is Paul Miller with the Secretary
8 of State in Washington. First of all, a comment that I
9 have done some parallel testing in the state of
10 Washington. Second, I am concerned somewhat about the
11 constraint on the design. I know of a couple, well
12 particularly the (indiscernible) does network their
13 devices within the polling place and is able to use a
14 number code as the ballot token instead of having a
15 device, a donkel (phonetic spelling) or a switch or
16 whatever, a card, excuse me, to go around and use the
17 device. At this point I think we should take a careful
18 look at that issue to see whether or not the benefits of
19 separating machines so that they can't be networked --
20 would this also include (indiscernible) machines daisy-
21 chain their power cords as well? Would you be including
22 that sort of a design in this factoring as well?

1 MR. KELSEY: I don't believe so unless there's
2 communication possible over that line. At some point
3 you're going to start worrying about what you call like
4 subliminal channels where one machine can kind of subtly
5 tell something to the other machine. But I don't think
6 that's a big issue that we're considering right now.

7 MR. MILLER: And in the heart system where it's a
8 closed loop, and in order to operate the individuals
9 machines, if you're going to do parallel monitoring you
10 still have to have a loop with a controller device
11 that's connected to it. And if you randomly select --
12 I'm not sure how the equipment -- I'm not sure how
13 within that closed loop it would be able to communicate
14 that this is a test versus this is actually in
15 production.

16 MR. KELSEY: I suspect that if you were trying to
17 do this, and this is more a guess because I certainly
18 haven't tried to run something like this, I suspect what
19 you would do is test the entire loop. So you can
20 imagine the testing team bringing out additional, a
21 second set of machines and controller and then just test
22 one of the ones that were already there. That's the way

1 I suspect you would do it, but I'm talking outside my
2 area of expertise.

3 MR. MILLER: Okay. No, I understand. I just want
4 to take a careful look at that before we write something
5 specific that might put a constraint there that's not
6 necessary.

7 MR. KELSEY: Right.

8 MR. RIVEST: This is Ron Rivest. I'd like to
9 follow up with what Paul is saying. I think this is a
10 place where (indiscernible) the election officials is
11 really important. And this is a procedure which is
12 optional certainly by the states. It's expensive when
13 it's done to do parallel testing when you've got
14 software independence the motivation for that is perhaps
15 decreased and then (indiscernible) validation may
16 decrease that as well. So I think this is language that
17 could be written in there if the states felt that was
18 important to them. But I think as security devices go,
19 it's certainly marginal compared to, say, having the
20 software independence techniques that we have already.

21 MR. CHAIRMAN: Yes.

22 MR. MILLER: Thank you.

1 MR. WAGNER: David Wagner. I would second that.
2 To mention how is parallel testing -- my understanding
3 of how parallel testing is done in California, for
4 instance, is that you set up a mock precinct. So for
5 those that use precinct-based networks, I don't think
6 that has to be a barrier to parallel testing. But to
7 get to the broader point here, I certainly would be very
8 reluctant to suggest requirements that would constrain
9 the design of these machines in a way that, for
10 instance, prohibits a precinct-based network just on the
11 basis of parallel testing. So I think we should be
12 careful here before drafting any requirements that
13 constrain the design of the machines. And I think
14 particular parallel testing, as John identified is a
15 tricky one, and the TGDC should provide input to the STS
16 on this particular issue about what, if anything,
17 deserves to be in the standard.

18 MR. CHAIRMAN: This is Bill Jeffrey. Just trying
19 to get the sense of the discussion. Given the fact that
20 the software independent verification covers the vast
21 majority of what we're talking about, and given some of
22 the down sides, is there a sense from the TGDC that --

1 is there value to even continuing to try to draft and
2 discuss the parallel testing options? Or is that
3 something that we should recommend to the STS
4 Subcommittee that they kind of move on to other issues?

5 UNIDENTIFIED INDIVIDUAL: As I said, I think the
6 election officials need to give their input here, but
7 from a security viewpoint I think that having a back-off
8 on this would be a little be a little bit appropriate
9 where the requirement could say something as simple as,
10 the manufacturer shall describe in its view what a
11 parallel testing procedure might look at, what's
12 possible on the machine, and how it could be exercised.

13 MR. GAYLE: This is John Gayle, Secretary of State.
14 Well, it would seem to me that if it was presented as
15 suggestions as opposed to requirements, it could be
16 helpful to -- obviously there are many sizes of
17 different counties and election centers. So some can
18 afford to spend more money to do more things than
19 others. And if these are suggested ideas, I think
20 they'll be received favorably. But to try to say one
21 system fits all isn't going to work, particularly if we
22 can feel some sense of reliance upon the software

1 independence goal.

2 MR. KELSEY: I guess the question that would be
3 interesting to ask everybody is, are there other
4 mechanisms or procedures that we know of, that anybody
5 knows of, that address this issue of the voting machines
6 misbehaving in some fairly subtle way that's hard to
7 detect, that's not detected in the paper record versus
8 electronic record. And I think one obvious thing is
9 just to note complaints, but I you couldn't put that in
10 an equipment standard at all. And also, you guys all
11 know a lot more about that than we do.

12 MS. PURCELL: Helen Purcell. I think probably most
13 of the jurisdictions have observers that go around
14 during the day and they certainly discover any kind of
15 error that might possibly affect the voting that day.
16 And I don't see that that's going to be a problem.

17 MR. KELSEY: Okay. So if voters complain, people
18 at the polling place at the time would know that and
19 would write it down. And then I guess the question is,
20 how is that addressed later? That's a harder problem.

21 MS. PURCELL: Well, you not only have the voter
22 complaining to the people at the polling place, but you

1 also have observers, at least what we do of our
2 political parties and so forth who are observing
3 elections. So they're going to get that information to
4 you and it's certainly going to be taken into
5 consideration. In my jurisdiction we have hotlines that
6 the polling places and the troubleshooters are in touch
7 with us all day long, so we know of anything that occurs
8 that day and can solve the problem then.

9 MR. KELSEY: Okay. That's helpful.

10 MR. MILLER: Yes. This is Paul Miller. I would
11 concur with what Helen just said, that that is the way
12 counties manage their system, is using troubleshooters
13 and hotlines from the polling places. I guess one thing
14 I think you're trying to get at, and I don't know how to
15 get at it yet is the distinction between what is in fact
16 a hardware user interface issue and what is in fact
17 malicious. And let me offer one example. There's a lot
18 of reports of people saying they touched one vote, one
19 candidate and they got another. And I know most
20 counties, or the counties I'm familiar with, if they get
21 a report from the polling place they simply treat that
22 as the machine was not calibrated correctly. If they

1 get that complaint they should shut down the machine and
2 bring out a troubleshooter who either replaces the
3 machine or recalibrates it. They usually bring in a new
4 machine. And they don't distinguish between if it
5 really was miscalibrated or whether it was simply that
6 the user didn't use the screen correctly. And I suspect
7 frankly that if it's miscalibrated first voter in the
8 morning, it was miscalibrated. If it was a voter in the
9 middle of the day complaining, I suspect that it's
10 usually the voter. And I don't know how to get at the
11 question of distinguishing between what was a genuine
12 hardware failure and what was a user error or malicious
13 code.

14 MR. CHAIRMAN: The question to the STS
15 Subcommittee, do you have sufficient guidance from this
16 discussion as to how to move forward on -- you know,
17 it's really no formal requirements on the parallel
18 testing of potentially suggestions or guidance as to the
19 vendors.

20 UNIDENTIFIED INDIVIDUAL: I know you have
21 discussion at this point, but I think further input from
22 election officials as to the desirability of support for

1 parallel testing would be helpful. As I said, I think
2 it's got some marginality to it, and if there's demand
3 for requirements that the machine support that for many
4 states that would be good to know. If there's not much
5 demand for it, we can back off on requiring any kind of
6 hard constraints on the design to support that.

7 MR. GAYLE: Dr. Jeffrey, John Gayle, Secretary of
8 State. Well, since the EAC hopefully will be issuing
9 their Election Management Guidelines in the fall and we
10 don't have them readily available to know whether these
11 issues are going to be addressed, certainly I think this
12 should either be postponed, taken off the table, or
13 delayed indefinitely until we have the ability for the
14 EAC to interface their guidelines with some of these
15 issues. Because it seems to me that's more an election
16 administration issue as Ms. Purcell and Mr. Miller have
17 addressed.

18 MR. KELSEY: Okay. That's all I had.

19 MR. CHAIRMAN: Let me just make sure that we're
20 consistent. Given the discussion that we've just had,
21 essentially we would not anticipate a requirement at
22 this point on the parallel testing, again subject to any

1 additional input that the STS can get from state
2 election officials and any additional guidance from the
3 EAC that may be coming down the pike. So with the
4 exception of the issues on the parallel testing, do I
5 hear a motion to adopt the rest of the preliminary draft
6 Security and Transparency Sections that were consistent
7 with the discussion? Is there a motion to essentially
8 concur with the direction that they're headed,
9 subtracting out the parallel testing part? Is there
10 anyone who doesn't want to second that?

11 UNIDENTIFIED INDIVIDUAL: Yes, I move to second it.

12 MR. CHAIRMAN: Okay. So let me be clear again as
13 to what we just did. What we want is the TGDC to
14 formally concur with the direction that the Security and
15 Transparency Subcommittee has just presented. The one
16 change is the subtraction of the parallel testing as a
17 formal requirement.

18 UNIDENTIFIED INDIVIDUAL: I just wanted to make
19 sure I understood. I think from what we were
20 discussing, my understanding was Ron's suggestion was
21 that we might include documentational requirements that
22 say that the vendor shall document how, if parallel

1 testing is to be done how it should be done, but that we
2 wouldn't impose hardware requirements. Am I getting
3 what you're saying correctly?

4 UNIDENTIFIED INDIVIDUAL: Yes, I would think that
5 would be reasonable. I think that's consistent with
6 what you said.

7 MR. CHAIRMAN: Yes.

8 UNIDENTIFIED INDIVIDUAL: No hardware requirements
9 there, but if the machine does have parallel testing
10 capability it should be documented.

11 MR. CHAIRMAN: So a formal resolution -- I will
12 propose a formal resolution, and I apologize for
13 probably not getting the English quite right, that we
14 accept the direction that they've given with the change
15 that there be no hardware requirements on the parallel
16 testing, but if a vendor's machine has such that they
17 should document how a state could use that for parallel
18 testing. Is there a second to that motion? Okay.
19 There's motion and it's been seconded. Any discussion
20 or comments on that? Any objections to unanimous
21 consent? Hearing no objections to unanimous consent,
22 we've got that. And the parliamentarian wants -- so

1 with that I thank the Security and Transparency
2 Subcommittee for getting us just about back on schedule
3 and for teaching us about cryptography.

4 Are there any other questions or comments before we
5 break for lunch? Okay. If not, let's get back on
6 schedule such that we meet back here at 1:30. And
7 again, thank you very much for the TGDC members and the
8 EAC members. We have a room reserved right next door,
9 dining rooms A and B for lunch.

10 (Lunch recess.)

11 UNIDENTIFIED INDIVIDUAL: -- to see who's on the
12 phone connection. Do we have any members that are
13 joining us for this afternoon?

14 MS. TURNER-BOWIE: Sharon Turner-Bowie.

15 UNIDENTIFIED INDIVIDUAL: Thank you, Sharon.
16 Anyone else?

17 MR. CHAIRMAN: Okay. An official NIST time, it's
18 now 1:30 so if everyone could take their seats.

19 UNIDENTIFIED INDIVIDUAL: Just one point of
20 administrative matters. The signer is over on my right.
21 If people want to make use of this, please move over to
22 that side of the room. Thank you.

1 MR. CHAIRMAN: Okay. Well, good afternoon and
2 welcome back to the Eighth meeting of the TGDC. I'll
3 officially call this meeting back to order, and I will
4 ask our new parliamentarian, Thelma Allen, to please
5 call roll.

6 MS. ALLEN: Thank you, sir. Williams? Williams?
7 Williams not responding. Berger? Berger? Berger not
8 responding. Wagner?

9 MR. WAGNER: Here.

10 MS. ALLEN: Wagner is present. Paul Miller? Paul
11 Miller? Paul Miller is not responding. Gayle?

12 MR. GAYLE: Present.

13 MS. ALLEN: Gayle is present. Mason?

14 MS. MASON: Present.

15 MS. ALLEN: Mason is here. Gannon?

16 MR. GANNON: Here.

17 MS. ALLEN: Gannon is here. Piece?

18 MR. PIERCE: Here.

19 MS. ALLEN: Pierce is here. Alice Miller? Alice
20 Miller? Alice Miller is not responding. Purcell?

21 Purcell? Purcell is not responding. Quisenberry?

22 MS. QUISENBERRY: Here.

1 MS. ALLEN: Quisenberry is present. Rivest?

2 MR. RIVEST: Here.

3 MS. ALLEN: Rivest is present. Schutzer?

4 MR. SCHUTZER: Here.

5 MS. ALLEN: Schutzer is present. Turner-Bowie?

6 MS. TURNER-BOWIE: Here (via teleconference).

7 MS. ALLEN: Turner-Bowie is present. Jeffrey?

8 MR. CHAIRMAN: Here.

9 MS. ALLEN: Jeffrey is present. We have ten
10 members in attendance.

11 MR. CHAIRMAN: Thank you very much. And, by the
12 way, that's also sufficient for a quorum. At this point
13 I think it's Dr. Allen Goldfine and David Flater. You
14 guys are up next, and to present the Core Requirements
15 and Testing Subcommittee preliminary report.

16 MR. GOLDFINE: Thank you Dr. Jeffrey. It's
17 Goldfine.

18 MR. CHAIRMAN: And you can say Bill.

19 MR. GOLDFINE: Okay. Great. We're all even then.
20 This is the Core Requirements and Testing report. I'm
21 going to do part -- well, let me get to the next slide.
22 There are four basic topics we're going to be

1 discussing: electromagnetic compatibility requirements,
2 quality assurance configuration management requirements,
3 review of the CRT changes from the previous draft of
4 several months ago, benchmarks. I'm doing the first
5 half, Dave Flater is going to be doing the second half.

6 Most of what I'm going to be doing is more of a
7 status report than anything else, talking about where
8 we've been, what our overall goals are, how close we are
9 to accomplishing those goals, what are the differences
10 between now and this past December, and so on. We are
11 leading up to one unresolved issue that I am going to
12 toss over to the TGDC for resolution. And I've been
13 told by my management to stand up here at the podium
14 until a resolution is agreed to, or that we perceive a
15 consensus, or something like that.

16 Okay. First of all, the topic that we now call
17 electromagnetic compatibility requirements, basically
18 revision of Sections 4.1.2.4 to 4.1.2.12 of Volume 1 of
19 the 2005 VVSG. Also this would revise part of Section 6
20 in 2005, namely telecommunications, although from the
21 point of view that we're looking at this, it's pretty
22 much new as far as telecommunications. There really

1 weren't any telecommunications requirements in this
2 area. And as part of the process there would also be
3 some changes in testing descriptions, test protocols,
4 and so on, a revision of Section 4.8 of the 2005.

5 Basically what we're talking about here is, again
6 what used to be called electrical requirements, pretty
7 much the ability or the resistance of voting equipment,
8 electronic voting equipment, to be resistant to or
9 resilient in the face of disturbances, interferences,
10 power surges, that sort of a thing. It's very highly
11 technical. We've talked about it at several CRT
12 meetings. We've had discussions outside that on e-mail
13 threads, and so on. And it's pretty much well on its
14 way to being finished. We've divided the area into
15 three sub-areas: conducted disturbances, basically
16 emanating out of wires and tables and so on; radiated
17 disturbances, you know, electromagnetic signals through
18 the air; and the third area as I said before,
19 telecommunications disturbances.

20 The conducted disturbances section is complete, or
21 at least it's complete as of yesterday. Probably by
22 Monday I'll be posting the latest draft set of

1 requirements on the web. Radiated disturbances is still
2 being worked upon. As I indicated last time, we've
3 enlisted the experts in this particular area from NIST
4 Boulder. There were some delays in that, but now
5 they're working hard to define appropriate revisions to
6 the existing requirements. And the telecommunications
7 disturbances, which are partly visible on the current
8 draft, still some to be completed. We anticipate that
9 everything should be finished in the sense of having a
10 complete set of requirements for complete examination
11 and integration and development of informative text and
12 so on probably no later than early to mid-April.

13 But everything seems to be very straightforward
14 here. We haven't perceived any major disagreements or
15 lack of consensus within CRT. I encourage any of you
16 who are interested in this subject, if you haven't
17 already to take a look at the document. Well, the
18 document that's in the hand-out and also whatever the
19 revisions are that we continue to place on the web.

20 The other area I'm going to talk about is that of
21 quality assurance and configuration management
22 requirements. Our work in this is a response to first

1 of all TGDC Resolution 30-05, which sort of mandated
2 that the sections in 2005 that dealt with quality
3 assurance and configuration management be reconsidered,
4 rethought, in an effort to provide additional, stronger
5 if possible, tools to help ensure reliability of voting
6 equipment. This was reaffirmed and extended at the
7 December 2006 plannary where the TGDC did reach a
8 consensus that yes, ISO-9000, 9001, that family of
9 standards should provide the framework -- I'm trying to
10 quote as best I can from the actual transcript -- should
11 provide the framework for VVSG 2007 requirements. Of
12 course, I guess we're not supposed to use 2007 anymore,
13 but wherever I have 2007 in this presentation, make a
14 global change to whatever is the current, politically
15 correct word. And these revisions -- well, in this case
16 it's more than a revision, it's a rewrite from scratch
17 of the existing sections -- would be a replacement for
18 Sections 8 and 9 of Volume 1 and Section 7 of Volume 2
19 of 2005.

20 Now, the draft VVSG 2007 requirements, I guess the
21 word draft should be in there, do require that a
22 vendor's quality assurance procedures be in conformance

1 with ISO-9000, 9001. And of course, in this area the
2 devil is in the details. Saying conformance doesn't
3 mean a whole lot. It really comes down to the
4 particular procedures, the particular detailed
5 requirements that are specified, first of all in the
6 VVSG, and then how those requirements are adopted,
7 rephrased, implemented, and so on, by the vendor. So
8 what we have now in the draft requirements of the -
9 **(END OF AUDIOTAPE 2, SIDE B)**

10 * * * * *

11 **(START OF AUDIOTAPE 3, SIDE A)**

12 UNIDENTIFIED INDIVIDUAL: So the argument is
13 completely circular. We cannot determine a benchmark
14 this way. At some point we need to know really what
15 benchmark is required.

16 MR. CHAIRMAN: Sorry. This is Bill. Could I ask
17 for clarification, because we may be asking -- I mean,
18 we're asking hard questions to people who give us
19 numbers, like what's average volume and things. But is
20 there any reason to believe that an error rate or that
21 the number of errors would be greater on a smaller
22 volume than a larger volume? And the reason I'm asking

1 that is if --my intuition would be that the bigger the
2 volume, the more errors we'd likely have that you really
3 don't want to specify sort of what's a typical but you'd
4 like to look at what sort of an extreme. I mean, what's
5 the 95% volume rate on which there probably is data?

6 UNIDENTIFIED INDIVIDUAL: Well, the idea was to
7 derive a rate. And to derive the rate, the way the
8 question was formed was, with regards to a typical
9 election the thought was in a typical election where, so
10 we believed, there'd be a way to find out what the
11 volume was. And there would also be a way to come up
12 with a figure for how many errors could have been
13 tolerated before we ended up with an unacceptable
14 result. From that you divide the errors by the volume,
15 and you have a rate. But in fact raising the question
16 in this way may have caused more problems than it
17 solved.

18 Now, to continue with the feedback, Paul Miller on
19 the last CRT telecon was essentially speaking on behalf
20 of NASET and saying, what we would really like is to
21 assign different weights to different kinds of failures,
22 so that these kinds of failures that might possibly be

1 resolved in the loss of votes would be a write out. But
2 other types of failures that we might be able to rectify
3 on election day or by replacing a machine and recovering
4 the votes later, we might be able to tolerate those. So
5 if we can define these different categories of failures
6 in an objectively determinable way -- that's what the
7 test lab needs -- then we can assign different weights
8 to them and possibly have a more complex benchmark, but
9 a benchmark which satisfies the needs.

10 Now, in fact 1990 voting system standards tried to
11 do exactly this. Appendix 2 of the 1990 VSS, the voting
12 system failure definition of scoring criteria defined
13 the idea of a relevant failure versus an irrelevant
14 failure, and also assigned different weights typically.
15 Any old failure from which you could recover and
16 continue with, I suppose, paper jams being in that
17 category, would count as .2, whereas something that
18 could potentially end up locking up votes so that you
19 couldn't get them out of the equipment got a value of 1.
20 Now, this system was removed in its entirety from the
21 2002 VSS. And as of the deadline for this presentation,
22 Paul Miller was following up to find out why this

1 occurred and I haven't communicated with him since. So
2 if Paul is on the line --

3 UNIDENTIFIED INDIVIDUAL: He's on an airplane.

4 UNIDENTIFIED INDIVIDUAL: He's on an airplane.

5 Darn. Well, this is where we are. Something was done
6 in 1990 VSS that once again is starting to sound like a
7 good idea. We want to know why it was taken out. Rick
8 would also know this probably, but he hasn't made it
9 here either. So --

10 MR. CHAIRMAN: David, let me ask a question, and
11 obviously we're not going to wait for Paul's plane to
12 land. From your understanding of Appendix G of the
13 1990, would that methodology really resolve the issues?

14 UNIDENTIFIED INDIVIDUAL: There are some minor,
15 resolvable incompatibilities with the test method that's
16 there now. I know exactly what I would do to fix them.

17 MR. CHAIRMAN: Okay.

18 UNIDENTIFIED INDIVIDUAL: But what I can't do is
19 tell the election officials what benchmark they want.

20 MR. CHAIRMAN: Right.

21 UNIDENTIFIED INDIVIDUAL: Now, based on the old
22 standard, if we just assume that the old standard was

1 correct in every way, we could stick as close as
2 possible to those old numbers. But this sort of gets us
3 back into the old -- I mean, it was defined in terms of
4 meantime between failure, which we already have the
5 resolution to move away from. So we wanted to rebase
6 this in terms of volume instead of time. So really the
7 election officials do need to weigh in.

8 MR. WAGNER: David Wagner. If you go back to the
9 slide with your summary of the NASET letter, I believe
10 it was, I wonder if there's something, some partial
11 things we could learn from that letter. I thought that
12 was a very informative letter. One of them is this
13 distinction between unrecoverable and recoverable
14 failures. And I think that's an important distinction.
15 There's a big difference between a machine crashes and
16 that corrupts or deletes all the votes and now it's
17 impossible to recover those votes, versus a machine
18 crashes and, I still have all the previous votes and
19 maybe I can't accept any new voters, but I haven't lost
20 any prior votes. And I'm not sure whether I read -- you
21 know, I'm just trying to read this on the fly, but I
22 didn't see that distinction made in the current

1 definition of failure rate in the draft before us. So I
2 wonder if just starting by making that distinction might
3 allow us to make some progress. For instance, one
4 possible direction one could propose would be a failure
5 rate where failures lead to loss of votes. The
6 acceptable rate for that might be 0 as listed up here.
7 The rate of failures which are recoverable or don't lead
8 to a loss of votes just lead to the loss of ability to
9 service new voters. That might be some non-zero rate
10 that's acceptable that could be specified.

11 I also thought maybe I'd just comment a little bit
12 on your statement that because we don't know what
13 practices and procedures will be used in the field, it's
14 impossible circular problem. I'm not sure that needs to
15 be such a roadblock. I think that first of all we can
16 identify there are some failures that are unrecoverable,
17 no matter what practices and procedures we use. Those,
18 it's very clear cut what to do. Then I think from there
19 one could look at what the documented practices and
20 procedures in the use manual provided by the vendor are.
21 And if use manual that's provided by the vendor supplies
22 practices and procedures, tells you to use this system

1 in such a way it would lead you to recover, then I think
2 it's fair to classify that as a recoverable failure.
3 And it's true, maybe there's some gray area for failures
4 where the manual doesn't say what to do and we don't
5 know what practices and procedures would be used in the
6 field. And I don't know what to tell you for the gray
7 area, but we may be able to make some progress there.

8 UNIDENTIFIED INDIVIDUAL: If I could respond
9 briefly. One additional complication with regards to
10 recoverable failures I didn't go into. And this was
11 among the questions that we asked. We didn't want to
12 ask if we wanted to have different benchmarks for
13 different types of equipment, because if you've got one
14 optical scanner counting all the votes, you probably
15 want that to be more reliable than one of the hundred
16 DREs that you have, simply because the consequences are
17 worse. That's all.

18 UNIDENTIFIED INDIVIDUAL: I think we're on to
19 something here. If you have the right procedures and
20 policies, depending on whether they have back-up
21 equipment and so forth, you might even be able to work
22 around non-recoverable failures. I agree that we have

1 to need some surrogate, because you're not going to be
2 able to have all the policies and procedures that each
3 municipality might have. But you won't necessarily want
4 to have the one that the vendor provides also. So I
5 would suggest though that maybe if you could some
6 prototypical or average kind of policy and procedure,
7 people could agree what is approximately close or
8 representative. And you try to do the task around that,
9 then you might be able to get to it. In other words, if
10 people tend to have only one optical scanner, then you
11 test it with only one. People tend to have only one DRE
12 in a particular (indiscernible) test only one, you know,
13 if you follow what I'm saying. How do you start and
14 recover in a normal kind of procedure. It won't be the
15 same exactly for everyone, but there might some
16 prototypical kinds of policies and procedures you might
17 want to discuss how this would work with that test. And
18 it would be some amount of them of what the vendor
19 recommends and what the practical people in the field
20 who have modified that to --

21 UNIDENTIFIED INDIVIDUAL: But then a given optical
22 scanner might be deployed in a precinct count

1 configuration or a central count configuration, the
2 number you have might change. My intuition would be
3 that this could be like asking about typical volume,
4 that there is no typical, would be the answer.

5 MR. CHAIRMAN: This is Bill. Do you have any
6 concrete recommendation for TGDC --

7 UNIDENTIFIED INDIVIDUAL: Well, actually I have to
8 get through accuracy, too. And then I will not make a
9 recommendation, but I will say something that will
10 hopefully wrap things up by July or June.

11 MR. GAYLE: Dr. Jeffrey, I'd like to just ask a
12 couple questions of David. And I guess I'm just
13 thinking in terms of election officials dealing with
14 whatever they have. That's the reality. And most
15 election officials keep spare parts, spare ink, spare
16 cartridges, things that they can deal with and replace.
17 So if you're running out of ink or if an optical scanner
18 is getting too much dust on the light so that it's not
19 reading properly, they can step in and clean that off
20 and recover the equipment to continue to count. So
21 there are so many things that, in some ways you might
22 call a failure, but it's a very recoverable issue on a

1 lot of levels, as long as there's some training and they
2 have spare parts. And that's one whole level.

3 Then you have the level of well, maybe there's a
4 bigger problem and you have to have a technician come
5 in, but the machine is not going to be put back into
6 storage because the technician's available and can
7 address the issue. So I don't know if, when you talk
8 about failures, outside of that context where every
9 precinct usually will have two pieces of equipment
10 anyway. And so even if one is irrevocably down,
11 irretrievably down, it doesn't mean the election can't
12 go on. It doesn't end the election because the other
13 piece of equipment can be used, or you can do ballot-on-
14 demand and print a paper ballot.

15 So when we talk about failure, are we talking about
16 failure of the election, or are we talking about just an
17 irrecoverable failure of the piece of equipment, no
18 matter whether there's back-up equipment to step in its
19 place or not? So I have trouble with this issue of what
20 kind of failure are we measuring.

21 UNIDENTIFIED INDIVIDUAL: Perhaps I should have
22 started with the definition of failure. Anticipated

1 events like running out of paper, running out of ink,
2 having to sweep the dust off the sensor, these don't
3 even register on the radar. These are not failures.
4 These are expected maintenance chores. An unexpected
5 thing like a paper jam is probably the least severe
6 thing that qualifies as a failure, and it gets worse
7 from there.

8 Now, the issue about recoverability, even in the
9 old standards there was a requirement to the effect of
10 not having a single point of failure and things like
11 that. An argument could be made, or in fact we could
12 make it so by adding unambiguous requirements that the
13 notion that any equipment should fail in a way that
14 makes any vote completely unrecoverable is already a
15 nonconformity, regardless of the reliability benchmark.
16 And that would take that out of the equation. And then
17 we would simply be focusing on everything in the middle.
18 If unrecoverable votes are completely banned, replacing
19 the ink is completely irrelevant, then everything in the
20 middle is a failure, and those are what we cannot for
21 the sake of the reliability benchmark.

22 UNIDENTIFIED INDIVIDUAL: Why are you saying

1 unrecoverable?

2 UNIDENTIFIED INDIVIDUAL: Well it's completely
3 banned. How about a scenario where feeding in optical
4 ballots and one of them gets chewed up?

5 UNIDENTIFIED INDIVIDUAL: Well, I'm just repeating
6 what NASET told me. No failures that lead to
7 unrecoverable votes are acceptable. That's one thing I
8 have in writing.

9 (Speakers not using microphone.)

10 UNIDENTIFIED INDIVIDUAL: This is one of those
11 cases where --

12 (Speakers are not using microphone.)

13 UNIDENTIFIED INDIVIDUAL: Yes, what it says in the
14 standard may be something that in the real, physical
15 world may not be enforceable. But the consequences in
16 the test lab are that if this happens when anyone's
17 watching, then the equipment will not be certified.

18 MR. CHAIRMAN: David, since there isn't a concrete
19 recommendation at this point, because it's
20 (indiscernible) more work, I think that there's a
21 general sense that dividing up the failures into the
22 non-recoverable and recoverable, there's maybe something

1 in there that looks good. And I think intuitively that
2 seems to make sense to a lot of people.

3 UNIDENTIFIED INDIVIDUAL: Yes.

4 UNIDENTIFIED INDIVIDUAL: And we needn't go as far
5 as instituting the scoring system from 1990 if there was
6 a reason for taking that out, which we're still waiting
7 on. But certainly making this division is a simple
8 enough thing to do and everyone seems to like it, so
9 great. Can I move on to accuracy now? No objection?

10 Okay. I'm paraphrasing NASET on accuracy.
11 Something that I found myself commenting on on many
12 occasions talking about elections past and future is
13 that the real requirement on the voting system is that
14 it have one less error than the vote margin between
15 first and second place. That's the real requirement.

16 Now, if we get beyond that, so what's the
17 benchmark? The old standard said one in 10,000,000
18 ballot positions was allowed to be wrong. And as NASET
19 discussed, this was a compromise based on testing. Of
20 course, the cost of testing, you can't of course prove
21 perfect accuracy in any finite-length test. And on the
22 surface, there's no reason to change this benchmark.

1 But there is a need to review the test methods. As I
2 had mentioned earlier, there was ambiguity with the
3 metric as it was specified.

4 They also expressed some concern that the 1 in
5 10,000,000 ballot position's benchmark might be
6 achievable for perfect test ballots, but maybe not for
7 real ballots.

8 UNIDENTIFIED INDIVIDUAL: (Speaker not using
9 microphone.)

10 UNIDENTIFIED INDIVIDUAL: So it depends I think
11 somewhat upon the voting equipment first of all, so let
12 me illustrate. If you're talking about a DRE piece of
13 equipment, then short of it breaking down and failing,
14 well it being compromised it's going to be accurate. If
15 you're talking about an optical kind of a thing, then
16 yes, you may have accuracy problems. But short of the
17 illustration I gave where, you know, it just gets chewed
18 up and it's not recoverable, you could design it so that
19 you make as high an accuracy as you want and if that
20 system is unable to, with that confidence provide you
21 that output, then it kicks it out for a human being to
22 look at. So, I mean, the accuracy could be somewhat

1 influenced by the manner in which the systems is
2 designed and used, if you follow what I'm saying. So I
3 think you just have to factor that in also. It is
4 somewhat related to the procedures and selected
5 guidelines. If you think there's problems in the
6 accuracy not being as good as you'd like in the
7 (indiscernible) you could actually compensate for some
8 of that if you were to adjust it for yes, no, or maybe.

9 UNIDENTIFIED INDIVIDUAL: Yes. I talked a little
10 bit about marginal marks in December. This is a
11 tunable, it's a calibration item for optical scanners.
12 And at that time the issues was that in fact you do want
13 the capability for this system to reject ballots that
14 contain marginal marks, because even though your
15 calibration may be this way or that, as long as you have
16 this maybe zone defined -- above here you're pretty
17 confident that it's a yes, below here you're pretty
18 confident it's a no, and the rest might be below the
19 noise at some point. And that's what you want to kick
20 out.

21 UNIDENTIFIED INDIVIDUAL: Right.

22 UNIDENTIFIED INDIVIDUAL: Certainly using that

1 practice will help you certainly in the precinct where
2 the voter is standing there and can be asked to clarify.
3 I don't know what you'd do in a central count case or in
4 absentee ballots. You have to arbitrate somehow.

5 UNIDENTIFIED INDIVIDUAL: You have to arbitrate
6 with a human to look at and determine what they voted.

7 UNIDENTIFIED INDIVIDUAL: So with regards to --

8 MS. PURCELL: If I could -- Helen Purcell. The
9 accuracy also depends upon the end user of the product,
10 and that's where you get into what you were talking
11 about about your absentee or early ballots, because
12 you're not at the polling place so you can't determine
13 if there was something wrong with that ballot. For
14 instance, if somebody instead of marking an arrow
15 circles something but it doesn't go through the read
16 path at all, the machine doesn't pick it up because the
17 machine doesn't know it's there. So that's something --
18 if they do everything on the ballot that way, it comes
19 out as a blank ballot, so you look at that. But if by
20 some chance they didn't do everything on the ballot that
21 way, there is some errant mark in there -- so that
22 accuracy is going to depend on what that user does with

1 the ballot.

2 UNIDENTIFIED INDIVIDUAL: Yes. In this case,
3 questions of deriving voter intent from ballots where
4 they completely ignored the instructions is sort of out
5 of scope. This discussion is about ballots that conform
6 to the requirements. This is a properly marked ballot,
7 and we want to know how often does the machine make an
8 error on a properly marked ballot.

9 MS. PURCELL: So you're not looking at an error
10 made by the voter?

11 UNIDENTIFIED INDIVIDUAL: No.

12 MS. PURCELL: But merely an error made by the
13 machine --

14 UNIDENTIFIED INDIVIDUAL: Yes.

15 MS. PURCELL: -- in reading what the voter put on
16 there?

17 UNIDENTIFIED INDIVIDUAL: Yes. So that rate should
18 be low. So continuing with the discussion of the
19 benchmark, based on the feedback received the vote
20 margin criteria and yes, in real life, we would always
21 like to have the number of errors be less than the vote
22 margin. But since you might get a vote margin of one or

1 even zero, that's a perfectly possible if unlikely
2 scenario. That doesn't help us to set a benchmark other
3 than zero. And as I said before, zero is a possibility.

4 Now, there was some support given for the 1 in
5 10,000,000 ballot positions number, but then if we move
6 forward from that as a starting point, the clarification
7 that I discussed in the draft in December was moving
8 from ballot positions as the basis for the metric to
9 something called report total error rate. And this has
10 to do with the fact that what you're getting out of the
11 system is a report. And actually if you go back to the
12 1990 spec, there was a sort of equivocation that started
13 even way back then between ballot positions and votes.
14 And what you're seeing in the reports is not ballot
15 positions, it's votes. And the benchmark was there in
16 terms of ballot positions, but then the evaluation about
17 what you do when you see errors was written in terms of
18 votes and looking at the reports. So there's been a bit
19 of confusion all along on that. And the draft currently
20 addresses that using report total error rate as looking
21 strictly at votes instead of ballot positions. Having
22 made that alteration, it's worth revisiting the 1 in

1 10,000,000 number to ask, is it still appropriate,
2 because it will have some impact.

3 Now, perhaps more worrisome was the comment about
4 the achievability of the benchmark for "real ballots".
5 The implication was that for some category of real
6 systems, only perfect test ballots are going to be able
7 to accomplish 1 in 10,000,000, and that if you took a
8 stack of real ballots for a real election, you won't
9 make that benchmark. If that's the case, we have
10 already discussed using volume testing with real people
11 and real ballots. There's been a lot of support for
12 doing that as part of the test campaign. If that's what
13 we're going to do, then the benchmark should be
14 something that's achievable in that context unless you
15 want to disqualify everyone. We don't have that figure,
16 so once again we're sort of asking, what error rates are
17 being achieved in practice. And I believe there are
18 some comments.

19 MR. CHAIRMAN: John and Whitney.

20 MR. GAYLE: Well, I'm just sitting here thinking
21 about equipment that maybe has a maximum use in a
22 precinct of maybe 1,5000 voters and maybe will be used

1 the maximum six times a year, and so maybe you're
2 getting 10,000 real votes, real ballots cast on that
3 equipment. If you have a ten-year lifetime, you're
4 talking 100,000. So this 1 in 10,000,000 just doesn't
5 even begin to make sense to me as an amateur in this
6 business when in terms of the reality of the equipment
7 it's dramatically less in terms of the expected use,
8 ordinary use. And obviously you'd need a multiple of
9 that of somewhat, but I don't see what the options are.
10 If 1 in 10,000,000 makes sense, of course it doesn't
11 make sense to me, but maybe it makes sense in terms of
12 science. But it seems like you're testing equipment way
13 too high a degree of perfection that's going to drive up
14 costs and going to drive up the inherent ability of
15 election officials to buy new equipment if we test this
16 to perfection, which is what this sounds like to me, as
17 opposed to the reality of how the equipment is going to
18 be used. So I'll defer to Whitney.

19 MS. QUISENBERRY: Before you respond to that, my
20 question is actually related. And I'll eliminate the
21 parts that overlap. One of the questions I have,
22 between sort of machine testing with perfect ballots and

1 volume testing, are we thinking about having both of
2 those? Because one of the things I've seen done in other
3 contexts is that you use a fairly stringent, perfect-
4 world test which is cheaper to run because it's a sort
5 of machine test, before you go into something that
6 involves lots of people, which therefore becomes a more
7 expensive test to run. So you can use that a gating
8 for, you know, is it mechanically sound enough to go on
9 with. And so at that point you tend to get requirements
10 that are more stringent than real world, because then
11 you're also going to go through a kind of real-world
12 environment.

13 UNIDENTIFIED INDIVIDUAL: We're talking about a
14 couple of different things. So maybe we can dissect it
15 and (indiscernible) testing. I mean, the one thing for
16 volume testing is to just find out if the system will
17 hold up under a lot of documents feeding through it or a
18 lot of votes, and what's going to happen to it as you
19 start beating the system with a lot of volume. The
20 other thing you did when you talk about with real people
21 is you're also introducing -- taking the case of the
22 optical scan -- the fact that people may not do perfect

1 circles and so forth. So I would suggest that maybe we
2 could separate those two types of tests, you know. One
3 is we can feed through lots of perfect ballots to just
4 see how the equipment holds up under that kind of volume
5 from a reliability sense. And another is we get some
6 prototypical samples of what some real ballots are and
7 see how well the equipment operates under variability
8 and how real people do the ballots. But don't submit
9 that to the volume test. We're really trying to just
10 see the kind of thing you're talking about, the circle
11 and not full circles and so forth, rather than the
12 filling it in, and see how well it works there and come
13 to some conclusions.

14 UNIDENTIFIED INDIVIDUAL: Stress testing is in fact
15 a separate item. And you don't care necessarily -- I
16 mean, you're not going to achieve the full volume
17 desired when you've got human beings in the loop. So
18 stress testing can be performed validly without people
19 in the loop, and that's written into the language now.
20 The language is rather general about the series of
21 different types of testing that are done, but that is a
22 separate type of testing from the -- it's really only

1 called volume testing because of the California volume
2 reliability testing protocol, which is where this idea
3 came from. In reality if we had to pick a better name
4 for it, it would be something like real people testing,
5 realistic election scenario testing.

6 MR. CHAIRMAN: David?

7 UNIDENTIFIED INDIVIDUAL: I want to second what
8 Secretary Gayle said. And my impression, the 1 in
9 10,000,000, that 10,000,000 number is artificial and
10 doesn't seem to have much bearing to the real world
11 performance of these systems. And I don't think there's
12 any reason we should feel constrained to stick with that
13 number. And I think what you're proposing here, to base
14 it on error rate when it is marked with real ballots
15 under conditions where people are filling them out, that
16 we hope will be representative of how it will actually
17 be used in the field, I think it's a very positive
18 direction. And yes, I agree this is the stumbling
19 block, is we don't have that figure. But if that figure
20 of what's achievable turns out to be a much different
21 number from 1 in 10,000,000, even if it's one or two
22 orders of magnitude different, I think we should just

1 accept that and that will be a very positive direction.
2 So I know that's not very helpful other than to say that
3 I think this is a great direction you're heading. And I
4 don't know how to help you go there further.

5 UNIDENTIFIED INDIVIDUAL: At one time I recall we
6 had a discussion about (indiscernible) the optical stuff
7 some kind of a halfway solution. In other words, let's
8 say I had a machine which was a DRE-kind of machine but
9 it's not recording any votes, it's not storing anything
10 electronically. I'm just using that to drive the
11 printer, if you follow what I'm saying. So some of you
12 come up there and see the ballot on the screen, make
13 their choices, and that drives the printer which
14 produces an absolutely valid, perfect kind of a ballot
15 every time. That might be a device you might want to
16 think about in terms of --

17 UNIDENTIFIED INDIVIDUAL: That's a class of devices
18 called EBMs, Electronically Assisted Ballot Markers.

19 (Speaker not using microphone.)

20 UNIDENTIFIED INDIVIDUAL: But accuracy and
21 everything else, you'd want to know that, you want to
22 convey that to people in the testing.

1 UNIDENTIFIED INDIVIDUAL: Well, in fact what we
2 want to do is set a performance benchmark and not pick
3 winners among the designs. If we set a benchmark and
4 some particular design can't meet it well that's too
5 bad, but we want to set a benchmark that will be design
6 agnostic.

7 UNIDENTIFIED INDIVIDUAL: I guess I wanted to
8 support the idea that 1 in 10,000,000 seems awfully high
9 to me. I mean, voters are the most notoriously
10 inaccurate part of the system here anyway, and getting a
11 voter to be accurate with a better than 1% error rate is
12 probably impossible. Some of the studies seem like
13 they're more like 3 to 5 or more percent is common. So
14 if you have a system which is -- you know, 1% is
15 inaccurate as a voter is, I think you're doing, you're
16 (indiscernible) so 1 in 10,000 would certainly probably
17 be fine. And if we (indiscernible) 1 in 100,000 as a
18 target number I think we'd be in good shape.

19 UNIDENTIFIED INDIVIDUAL: Alan picks the numbers.

20 MR. CHAIRMAN: This is Bill Jeffrey. Secretary
21 Gayle has echoed what David -- further echoed by Ron.
22 I'll continue the reverberation. For the volume

1 testing, obviously cost to what we really need is sort
2 of paramount. You want to get this as efficiently as
3 possible but it should be realistic. And I think John's
4 back-of-the-envelope calculation gave reasonable
5 numbers. I think one could go and actually get that
6 kind of data to look at what are reasonable volumes that
7 exist out there. And you've got all the statistical
8 powerhouse that you can with ITL to figure out sort a
9 confidence (indiscernible) the testing to come out with
10 some reasonable level of assurance that again 1 in
11 10,000,000 sort of doesn't pass (indiscernible) for
12 volume testing, but something, maybe more than a few
13 percent but less than that. I mean, it seems like there
14 should be a way to do it. My guess is by going out and
15 continuing to canvas people's opinions on the matter is
16 not going to be as productive as actually doing the
17 back-of-the-envelope calculation, coming up with what
18 you think is reasonable, and justifying why you think
19 that's a reasonable number, and then letting people
20 debate the reasonableness of your assumptions.
21 Otherwise you're going to continue to get circular
22 arguments.

1 UNIDENTIFIED INDIVIDUAL: Well, not being an
2 election administrator I don't have a whole lot of
3 confidence in my back-of-the-envelope estimation of the
4 achievable error rate. The bottom line is there is --

5 MR. CHAIRMAN: But maybe parse the problem
6 differently. Secretary Gayle, if you whipped out just
7 the number of times the ballot's going to be cast on
8 that device or the number of times an optical scanner is
9 likely to read that, that gives you some upper limit
10 essentially for that. And again, those were numbers
11 just from experience, but my guess is that there's some
12 compilation that you can get from some of these groups
13 as to how many times a typical machine does see a
14 ballot. I mean, you could probably parse the question
15 into something answerable. I have an increase in
16 specificity of what the question is, and that can then
17 drive some of your assumptions.

18 UNIDENTIFIED INDIVIDUAL: Okay.

19 MR. GAYLE: Dr. Jeffrey, I think I'm going to have
20 to clarify what I said, because I was thinking of
21 precinct scanners and precinct counting. When you get
22 into central scanning, the M650s, you're talking about a

1 much faster processing and a much higher number of
2 ballots that do get processed per piece of equipment.
3 So I guess we do need to clarify, at least
4 (indiscernible) optical scanning, are we talking about
5 the really big ones or are we talking about the precinct
6 ones?

7 UNIDENTIFIED INDIVIDUAL: I look forward to getting
8 back in touch with Paul Miller who also should have
9 perhaps some of these back-of-the-envelope figures. I
10 would encourage everyone with an interest in this to
11 participate in the next CRT teleconference. And let's
12 reach closure on this to the best of our abilities. The
13 bottom line is right now we don't have the number and we
14 need all relevant input now, if not yesterday or last
15 month. What's in the draft now? There's a number in
16 the draft now, but if you want me to do a back-of-an-
17 envelope justification for it, it might be doable. But
18 it will be far better if we have absolutely everyone on
19 board here. Everyone needs to know where the number
20 came from. We obviously have a problem with the
21 10,000,000, okay? That's been in there since 2002 and
22 people are still being surprised by it. So we don't

1 want to do that again.

2 MR. CHAIRMAN: And to clarify my suggestion, just
3 reaching out and asking people for numbers, I'm not sure
4 what you're really going to end up being able to do with
5 that. You know, the number is 42.

6 UNIDENTIFIED INDIVIDUAL: I've got it that I've
7 asked the wrong questions.

8 MR. CHAIRMAN: Well, what I'm suggesting is that
9 you perhaps outline a specific methodology. You know,
10 populate it with your numbers with the assumptions
11 clearly delineated, and allow people to then take each
12 assumption and argue what the range of those numbers
13 might be that can get you there, as opposed to just the
14 end state, being a number 1 in 10,000,000 or zero.

15 UNIDENTIFIED INDIVIDUAL: Here's a thought. There
16 are equipment out there in the field that people are
17 using right now. So supposing I were to take some of
18 that equipment in the field. Under even ideal
19 circumstances and that it's not out there, it's
20 calibrated before it's done, and so forth, and I run
21 that machine that's actually being used under some of
22 these tests. And I find out what numbers they actually

1 are achieving, and that's an ideal situation for that
2 machine. Now, it may not be satisfactory from one vote.
3 It might really turn out to be 1 in 10,000, but that's
4 at least a number you can have as a benchmark. And they
5 should be at least as good as what's out in the field
6 today. And then of course the new equipment comes, we
7 start finding some equipment can actually produce
8 superior numbers, then you might want to consider at
9 some time changing that number. But at least it's
10 saying what municipalities are using today, the new
11 equipment (indiscernible) would be at least as good as
12 that under the same kind of testing conditions. And
13 maybe that's good enough. It's not where we'd like to
14 be, but that's what's being used. So you might think
15 about that as (indiscernible).

16 MR. CHAIRMAN: David?

17 UNIDENTIFIED INDIVIDUAL: And a possible
18 constructive direction that could help you commit a
19 number would be, just to elaborate on what Dan is
20 saying, there are a number of states that have been
21 doing audits of their voting equipment. And one
22 possibility could be that it may be possible to gather

1 data on the results of those audits. For instance,
2 Helen sent around a great document from her county
3 reporting on results of the audit. And there were a
4 couple of cases in there where you could identify how
5 frequently errors in how the scanners interpreted the
6 ballot occurred. I know that my state of California
7 does audits, and there are many states that do audits.
8 So it may be possible to get some data there that could
9 help guide you as well.

10 UNIDENTIFIED INDIVIDUAL: I was going to follow up
11 on what Dr. Jeffrey said. You may not be comfortable
12 with a number, but would you be able to construct the
13 formula? If the formula is 1 in "n", and that "n" is
14 derived by saying a calculation like what Secretary
15 Gayle just did, then you're really arguing about what
16 the input to that formula is, not the formula itself.
17 And it might be interesting to do both things - just
18 think about how you would decide that is the formula,
19 get input on whether that formula is a good formula, and
20 then ask what the numbers that are input to that formula
21 ought to be, which is a second issue.

22 UNIDENTIFIED INDIVIDUAL: Well, in terms of the

1 test method, what we discussed in December was we didn't
2 want the formula to be based on time. The suggestion
3 was to move towards a volume-based formula.

4 UNIDENTIFIED INDIVIDUAL: No, no. Correct. What
5 I'm saying is Secretary Gayle sort of gave you an off-
6 the-cuff volume formula, which was well, this many
7 voters, this many elections, this many years of service.
8 And if that's the right calculation, you know, "x" times
9 "y" times "z", then the only question is what are those
10 numbers. And out pops your 1 in what number.

11 UNIDENTIFIED INDIVIDUAL: Yes. I agree. That's
12 just another way of deriving a number.

13 UNIDENTIFIED INDIVIDUAL: But what I'm saying is
14 that in terms of what question you ask to get meaningful
15 input, you could construct that formula, show an
16 example, and then say, and what are the numbers here, is
17 it ten years or is it 20 years in service, is it one
18 election a year or is it six elections a year, is it
19 five voters per election or is it 100,000 voters per
20 election. Those are probably two outside extremes. So
21 that might help you narrow in on the number, because the
22 number is really a product of a number of other numbers.

1 UNIDENTIFIED INDIVIDUAL: I will accept all
2 constructive input on what the right questions are that
3 I should be asking.

4 MR. GAYLE: And you have to write quality assurance
5 documentation with (indiscernible).

6 (Laughter.)

7 UNIDENTIFIED INDIVIDUAL: I'm sorry, I missed that.
8 Okay. Well, if I'm done with this, then that leaves me
9 3½ to do the other half of my presentation.

10 MR. CHAIRMAN: Keep going.

11 UNIDENTIFIED INDIVIDUAL: Okay. Well in effect,
12 what I have to report here in review of CRT changes, I
13 presented a whole pile of new sections in December. I
14 don't have any big, new sections to present this time.
15 All I have is sort of mundane maintenance to the
16 sections that I presented in December. And most of this
17 is probably not worth walking through in detail, given
18 our time situation. I will point out two significant
19 issues. One already is with regards to the benchmarking
20 test method and the benchmarks themselves that we just
21 discussed. Essentially what happened there is
22 everything we talked about in December was pasted into

1 the draft.

2 The other issue was about coding conventions.
3 There was an interaction with Dr. Wagner about block
4 structured exception handling and the impact with
5 regards to systems using the C language. And we
6 essentially discussed this at length and reached a
7 compromise in which yes, in fact there is a way to
8 retrofit things written in the C language that satisfies
9 block structured exception handling and good structured
10 programming principles. So the text that's in there has
11 been modified. It's mostly introductory text and like
12 one or two words in the requirements themselves. But
13 mostly it's the introductory text saying hey, yes you
14 can in fact do this. We had a long discussion about
15 structured programming in general.

16 Other than that, everyone has the document titled
17 Review of CRT Changes. This is essentially a change log
18 against the sections that I presented in December. All
19 of the references to Volume 3, Section anything are off
20 by a few chapters because a bunch of chapters were
21 inserted after this went to print. But there's some
22 algorithm figuring out where they're pointing. What I

1 would say is perhaps -- I don't mean to push the agenda
2 around, but perhaps the best use of time would be if
3 people care to examine this four-page document over the
4 break at some point, if there are any questions about it
5 afterwards I could take those questions. But otherwise
6 we can move on to the next -- would that be acceptable
7 to everyone?

8 All right. Thank you all.

9 MR. CHAIRMAN: Okay. So thank you very much. So
10 the preceding presentations on the Core Requirements and
11 Testing Subcommittee, actually my notes respond to the
12 eight relevant TGDC resolutions. And unless there are
13 supplemental directions or corrections above and beyond
14 what we've already discussed, do I hear a motion to
15 adopt their preliminary draft Core Requirements and
16 Testing sections consistent with the discussion? In
17 other words, that they're basically on the right path
18 except for all of the unknown numbers that all will end
19 up to be 42.

20 UNIDENTIFIED INDIVIDUAL: (Indiscernible.)

21 MR. CHAIRMAN: Okay. Is there a -- second is
22 moved. Seconded is -- any objection to unanimous

1 consent? In hearing none, they pass and we're only 22
2 seconds behind on the break. So let's catch that up and
3 I'll start again at 3:30 on the dot. Thank you very
4 much.

5 (Break.)

6 (END OF AUDIOTAPE 3, SIDE A)

7 * * * * *

8 (START OF AUDIOTAPE 3, SIDE B)

9 MR. CHAIRMAN: Okay, it's just about 3:30. If
10 everybody could take their seats, and all the people
11 ignoring me in the back, that includes you.

12 UNIDENTIFIED INDIVIDUAL: One logistic item while
13 everybody's sitting down. For those that are planning
14 in the audience to take the shuttle back to the Metro,
15 the last shuttle is at 5:30. So we're planning to wrap
16 up around 5:30, hopefully a little earlier, but you
17 probably want to leave here if you're going to get the
18 shuttle at around 5:25.

19 MR. CHAIRMAN: Yes, I will wait --

20 (Off the record.)

21 MR. CHAIRMAN: Okay. At this time I'd like to ask
22 Sharon Leskowski to present Human Factors and Privacy

1 Subcommittee preliminary draft report.

2 MS. LESKOWSKI: Okay. Thank you very much. Good
3 afternoon. So I don't know if I'll take the full two
4 hours here, but you never know. There's always some
5 interesting questions that come up.

6 Okay, quick overview. I'm going to talk about four
7 topics. First, some changes and issues that have come
8 up on the HFP Section, some issues that require further
9 analysis, then I'll give a little tutorial on how we're
10 developing benchmarks and what the status is, and our
11 progress thus far. And you've already got a bit of a
12 tutorial on a different kind of benchmark, courtesy of
13 David Flater, so I guess you're primed. And then some
14 of the next research steps which both apply for the VVSG
15 and beyond for the testing methodology.

16 There are three significant changes from the
17 December meeting. And I refer to the requirements using
18 the Chapter 12 numbering from the version that you have
19 in your binders. There were lots of other little
20 editorial things that did not change content, so I'm not
21 going over those.

22 First one, in VVSG '05 we required the availability

1 of different choice of font size and contrast on the
2 accessible voting station. And because when we looked
3 at what's currently commercially available, we realized
4 that just about all the voting stations do allow this
5 kind of adjustment. So in aligning with one of our very
6 first resolutions at the first meeting to strive for
7 universal design, we said well, we ought to just require
8 that on all the voter-editable ballot devices that are
9 for the visual. So we moved them to Section 2 of
10 Chapter 12, so now we've got available font sizes under
11 the control of the voter. You'll note that one thing
12 that we also allow is that second sentence, the system
13 shall allow the voter to adjust font size throughout the
14 voting session while preserving the current ballot
15 choices. And we also moved the high contrast for
16 electronic displays to the usability section, and again
17 that the voter can adjust this throughout the voting
18 session.

19 So our suggestion is that we should remove the
20 requirements. We'll put a pointer in there in both
21 forward and back, to remove it from the accessible
22 voting station because it's redundant. All the

1 usability requirements pertain to all voting systems.
2 And we also looked through all the adjustable controls
3 of the voting station and we updated for them to be
4 available throughout the voting station. So we've got
5 general adjustability for all the requirements when the
6 voter can control or adjust some aspect of the voting
7 station. And that can be done throughout the voting
8 session without loss of information. So for the most
9 part, that was already in there.

10 There are two that are new, because as I said we
11 revisited and looked through all the controls that were
12 possible. One was for the synchronized audio and video.
13 The change there is that the voter can choose either
14 audio or visual output or both, the idea being that if
15 you're blind you just want to hear it, you want to
16 preserve your privacy, you want to shut the video off.
17 If you don't need the audio you don't want to listen to
18 it. And if you have certain (indiscernible)
19 disabilities you might want to hear and see at the same
20 time. But we added the switch ,the system shall the
21 voter to switch among the three modes, throughout the
22 voting session.

1 Similarly, we did the same for voter control
2 language that the voter can select among the available
3 languages throughout the voting session while preserving
4 the current ballot choices. So now we've got the same
5 parallel construction for all the controls.

6 Any questions?

7 The second issue, this was discussed in our
8 previous meeting, we were given the safety requirement
9 from (indiscernible) I think, and --

10 MR. RIVEST: Can I ask a question about the
11 previous slide? This is Ron Rivest.

12 MS. LESKOWSKI: Sure.

13 MR. RIVEST: Sorry to interrupt, but it just
14 (indiscernible) relevant. Voter control language, this
15 will allow the voter to select among the available
16 languages throughout the voting session. So it means
17 everything on the display is going to -- if the voter
18 requests to see English for the first part and then
19 French later on, when they go to the review screen what
20 happens?

21 MS. LESKOWSKI: Well, they'll see, if they decide
22 all of a sudden -- well, I'll use my example from the

1 hardware store where I accidentally hit Spanish and
2 couldn't read anything and couldn't change it back. If
3 they decide -- and for the review screen they can have
4 it in either language, because now we've said it's
5 controllable throughout the voting session.

6 MR. RIVEST: So it's not the language that they
7 requested earlier, it's whatever they current language
8 is?

9 MS. LESKOWSKI: Right. So maybe they start out in
10 English and they say, well, I'm just confused now, I
11 really need to see the Spanish version. And if that's
12 at the review screen time, they can do it at that point.

13 MS. QUISENBERRY: (Indiscernible) do this, but --
14 this is Whitney. One of the things that we've heard and
15 observed is that someone who is a two-language speaker
16 might start out going through the candidate races
17 happily, voting for president, senator and so on, and
18 then get to a complicated ballot question and want to be
19 able to read that in their second language and to be
20 able to at that point switch. Of course, the names are
21 always what they are, so that doesn't change.

22 MS. LESKOWSKI: Okay. So in an earlier version of

1 the VVSG from the last meeting, we referred to OSHA as
2 sort of the umbrella safety requirement. And we
3 discussed this with several NIST people who are experts
4 in OSHA regulation and UL 60950, and they explained to
5 us that the OSHA reference is a regulation. What we
6 really wanted was the actual safety standard itself,
7 which indeed is UL 60950. And that would be the correct
8 way to refer to the safety regulation.

9 I said that was the third issue. The second one
10 was general adjustability throughout.

11 So there are several issues that we've looked at
12 that require some further analysis. Some are thornier
13 than others. Let me go through them. I'm going to
14 actually give a little tutorial on the common-industry
15 format for usability test reports in a moment.

16 We've required this usability testing by vendor but
17 what would be very useful is, this is a very general
18 test-reporting format that we refer to, and we'd like to
19 specialize it. For example, in our benchmark research
20 we developed a variation of a user-satisfaction
21 questionnaire specifically for voting. So there's no
22 reason why we can't provide that as the questionnaire

1 for them to use and save them a lot of headache in
2 trying to figure out what kind of questionnaire do we
3 develop, our own, or are there any standards out there.
4 So we can do things like that. We'd at least like to do
5 that for the general-usability test that a vendor would
6 submit, but there are several others. And I think
7 that's the longer term. Research (indiscernible) is
8 providing some guidance on how to specialize the
9 (indiscernible).

10 And just to make that make a little more sense I
11 thought maybe it would be interesting to give just a
12 very quick, two-slide tutorial on what is the common-
13 industry format for usability test reports. It very
14 simply describes how to report, not what to test but how
15 to report, on the usability test. The focus is not for,
16 in forming design but to give a point in time, what is
17 the usability of a particular system. That is what we
18 call summative usability testing. And the original
19 purpose of the (indiscernible) was just to have a common
20 format so different organizations could review and
21 compare results. We think the same logic applies for
22 looking at vendor reports as well. It's just easier to

1 read them if they all kind of have the same look and
2 feel.

3 This is an ISO standard. I've just cut and pasted
4 sort of bits and pieces to give you a little bit of
5 intuition of what's there, for example, the test
6 objectives. And in this case when I talk about
7 specialization of the (indiscernible) we can give very
8 specific test objectives here because it's for a voting
9 system. Other things that get reported is number of
10 participants, and there's some guidance as to the
11 minimum number of participants that should be reported.
12 And of course you've heard about our usability metrics
13 (indiscernible) satisfaction, which comes from other
14 standards.

15 So in general -- and I bring this up because I'm
16 going to talk about it a little bit later when I talk
17 about usability tests, and this gives me a little
18 framework to talk about it within -- the intended users,
19 the actual users in the demographics, the environment,
20 the working conditions. So for our voting benchmark
21 tests we didn't do what's called a think aloud because
22 we're timing. We just want the voter to vote on the

1 machine. Often you make a decision in your tests of
2 whether to provide assistance or not, at least eight
3 participants, you've got to define effectiveness
4 (indiscernible) satisfaction, measures of effectiveness
5 can be completion rate, number of errors, etc. And as I
6 said, I just bring this up because I didn't want the
7 (indiscernible) to be mysterious. It's pretty
8 straightforward reporting.

9 So that brings me to this research issue of
10 performance metrics. That is, you'll see in 12-2-11
11 that we've got a section for benchmarks. We don't have
12 any numbers in that, just like Dave Flater's talk. No
13 numbers at this point, but we've made some progress.
14 I'm going to talk about that in a moment. But that is
15 an open issue right now.

16 The next issue is based on our discussion from the
17 earlier meeting of end-to-end accessibility evaluation.
18 And in the VVSG glossary there are two definitions for
19 end-to-end: the security definition, which is supporting
20 both voter verification and election verification, and a
21 more generic end-to-end, covering the entire elections
22 process from election definition through the reporting

1 final results. So when we say end-to-end accessibility
2 evaluation, we're referring to this more generic
3 process. And that's what's in the glossary now. If
4 there's an issue with it, we can certainly alter it.

5 So when you do accessibility testing of the
6 components in the standard itself, a lot of them are
7 designed guidelines requirements. And even if you do
8 some usability testing with a particular set of voters
9 just on the voting station, that's not necessarily
10 sufficient to ensure the entire voting process is
11 accessible, that it does not violate any of the -- that
12 is, the entire end-to-end process does not violate any
13 of the VVSG requirements such as privacy, and it doesn't
14 break anywhere.

15 So our goal here is to create a place in the
16 standard for a test method to ensure that we've looked
17 at how the whole process fits together. So basically
18 what we're going to try to author is a fairly simple
19 requirement for assistance to support end-to-end process
20 accessibility, which will then be demonstrated by and
21 end-to-end comprehensive accessibility evaluation. That
22 doesn't necessarily have to be with users if you have a

1 knowledgeable accessibility expert. One could do a
2 walk-through of the system if they're knowledgeable
3 about what some of the pitfalls are. But that gets us
4 into the test method definition domain now.

5 But the second part of the requirement would be
6 that the vendor shall document the process by which the
7 system supports the end-to-end accessibility, so that
8 the test lab could use that documentation to actually
9 confirm that that end-to-end accessibility does work.

10 Any questions about that?

11 Okay. The next issue that I just want to put out
12 on the table -- we're going to have lots of time to
13 discuss this in detail tomorrow under (indiscernible)
14 and accessibility. But I just wanted to put it on
15 people's radar screen so that you would know there is
16 some very early draft wording. I don't know the outcome
17 of our discussion tomorrow, so I don't know if this is
18 going to make sense after that or not, but it's a
19 starting point. The accessibility of paper-based vote
20 verification: if the accessible voting station generates
21 a paper record or some other durable, human-readable
22 record for the purpose of allowing voters to verify

1 their ballot choices, then systems should provide a
2 mechanism that can read that record and generate an
3 audio representation of its content. The use of this
4 mechanism should be accessible to voters with dexterity
5 disabilities. We can also discuss tomorrow shall
6 versus shoulds, but I just wanted to get the wording on
7 your radar screen.

8 Any questions?

9 In our travels through editing the HFP section, we
10 note the VVSG '05 dexterity requirement that if the
11 voting station supports ballot submission for non-
12 disabled voters, then it shall also provide features
13 that enable voters who lack fine motor control or the
14 use of their hands to perform the submission. This is
15 also going to be talked about in some detail tomorrow.
16 So we recognize privacy is an important part of
17 accessibility, and for people with dexterity issues
18 there's been suggestions and some ability to use a
19 privacy suite to preserve that. But this requirement
20 goes beyond that and says it also requires, as a shall,
21 independence. And this does have some implications for
22 the software independence and accessibility for

1 electronic ballot markers and precinct count optical
2 scanners, because I'm not aware of any commercial
3 systems that do indeed address this. So again, I'm
4 going to put this on your radar screen because this
5 issue is going to come up again tomorrow in the
6 (indiscernible) accessibility discussion. It probably
7 also will require some discussion with the EAC as well,
8 since this is in the current version, of the VVSG '05
9 version standard.

10 UNIDENTIFIED INDIVIDUAL: So you're requiring this
11 of all voting machines, or are you just saying it would
12 be some special machines that could do this?

13 MS. LESKOWSKI: This is for the accessible voting
14 station.

15 UNIDENTIFIED INDIVIDUAL: Okay.

16 MS. LESKOWSKI: All right? Okay.

17 So that completes my discussion of the issues that
18 we're currently chewing on. I want to talk now about
19 where we are with our usability performance benchmark
20 research. And we've completed the first phase, so our
21 overall goal for the VVSG is to have quantitative
22 performance benchmark requirements for usability with

1 conformance determined by running usability tests with
2 typical voters.

3 So here are the steps that we need to do to get to
4 that point. Develop a test protocol and metrics - I'm
5 going to talk about that in a moment. The checkmark is
6 there because we've done that. Show the test is valid -
7 we believe we have shown that our test is valid. I'll
8 go into some details as to what I mean by test validity.
9 Show the test is reliable - this is the next stage of
10 our testing that's going on right now. By that I mean
11 that we can reproduce it and repeat it. That is, the
12 same testers can -- let me see if I can get this
13 straight -- can reproduce it with the same results and
14 that it can be repeated by -- no. Let's see. I
15 reversed it again. I always do this -- that the same
16 set of testers under the same conditions can repeat it
17 and get the same results statistically speaking, and
18 that another test lab can perform that test and get the
19 same results.

20 The next step is to test a number of commercial
21 machines so we get an idea of what their performance
22 baseline is for this test, for this specific test

1 protocol and for those metrics. So some of the issues
2 that we're in the process of dealing with right now are,
3 how do you do this cost effectively, because we want a
4 large enough number of voters to ensure statistically
5 significant results. And we want tight confidence
6 intervals, so I might say, I ran this test with ten
7 voters and eight out of ten completed the ballot without
8 errors. I'm giving you a way to count here. So that's
9 binary. Yes or no, did they have a perfect ballot or
10 not. I'll talk a little bit more about different ways
11 to count and different ways to define errors in a
12 moment, but for the purposes of this --

13 So I ran it with ten voters and eight out of ten
14 produced a perfect ballot with our test protocol and our
15 test ballot. Or if I told you I ran it with 100 voters
16 and 80 of them completed it successfully with a perfect
17 ballot, you would have a lot more confidence, a tighter
18 confidence interval within that larger number of users.
19 So we're trying to find out, to balance enough voters so
20 we get a good, tight confidence interval on our results,
21 but not thousands of users to make the test too costly
22 to run.

1 (Speaker not using microphone.)

2 MS. LESKOWSKI: Microphone, please?

3 UNIDENTIFIED INDIVIDUAL: There's another variable,
4 too. I mean, if I did it with, let's say, a very
5 homogeneous population --

6 MS. LESKOWSKI: I'm going to talk about that in a
7 moment.

8 UNIDENTIFIED INDIVIDUAL: All right.

9 MS. LESKOWSKI: Okay. In fact, I'm going to make
10 two statements about that. There's two aspects of that.
11 I've been thinking about this for a long time. And
12 there's different ways of counting, and that determines
13 our metrics system, which ones do we want to use and
14 what is the statistical treatment of these metrics to
15 determine the competence in these (indiscernible)
16 because in general we don't get normal distributions on
17 these and we didn't expect to. So we have been working
18 with some of the NIST top statisticians to work through
19 that because I'm not a statistician. And at that point
20 we can then, by looking at a performance baseline and
21 how we calculate that performance baseline competence
22 (indiscernible) we can then put in our benchmarks.

1 So this is sort of an informal description of our
2 test protocol, because I thought I would try to make
3 this more concrete for the committee. Basically we
4 recruit participants with specified demographics. In
5 this initial test round to determine validity we used a
6 rather homogeneous group of people that we expected to
7 get fairly good performance on, just to see if we could
8 get errors and see if we can distinguish between
9 different systems. And I'll talk about that a little
10 bit more in a moment. But obviously for a larger test
11 you want participants with demographics that are
12 relatively representative. It doesn't have to be
13 entirely representative because we're just testing
14 something in a lab. We want enough to generate the
15 different kinds of errors that one would expect to see.

16 We have a meeting complexity ballot, 20 contests
17 and referendum. We asked vendors to implement that test
18 ballot and to show off their system in the best light.
19 And the test administrators follow a script.
20 Participants are told exactly how to vote so we know
21 their intention, make the ballot -- out the other end,
22 when you cast your vote, make it look like this. There

1 are 28 entries. No assistance or training is given. We
2 say, here's a voting machine. Whatever is typical,
3 training materials provided around the machine, that's
4 what they see. So we measure errors and time to vote,
5 and basically those errors are differences from what we
6 expected to see given how we told them to vote and
7 whether they were able to cast or not cast the ballot.

8 And we have (indiscernible) questionnaire. It's a
9 modified survey of user satisfaction or SUS
10 questionnaire that's widely used in the industry. It's
11 modified for voting. It's basically ten statements,
12 it's a five-point (indiscernible) scale. They rate on a
13 scale of one to five things like, I felt confident that
14 I used this voting machine correctly, I think that I
15 would need support to be able to use this voting
16 machine, or I thought this voting machine was easier to
17 use. And this has been validated in a number of
18 different contexts.

19 And so --

20 MR. CHAIRMAN: Whitney?

21 MS. QUISENBERRY: Just to clarify, could you --
22 well I suppose I should just say the answer since I know

1 the answer. The ballot that you constructed, was that
2 using real candidates and real parties?

3 MS. LESKOWSKI: No. We didn't want to -- we try not
4 to bias things, so we use different colors for parties
5 and we made up names that looked like real names but
6 have no relation to any candidates. They're just out of
7 the phone book. I know (indiscernible) actually used
8 some software that generates random names, which would
9 be another way to do that, but we only needed one test
10 ballot.

11 MS. QUISENBERRY: That's one of the things we're
12 reading in the literature, is that trying to use a real
13 ballot you get people who say, but I didn't want to vote
14 the way you instructed me.

15 MS. LESKOWSKI: Right. Exactly.

16 UNIDENTIFIED INDIVIDUAL: Was it just for
17 candidates or did you include like referendums and that
18 type of thing?

19 MS. LESKOWSKI: Yes. There were three --

20 UNIDENTIFIED INDIVIDUAL: There are six contests
21 that are yes-, no-type --

22 MS. LESKOWSKI: Yes. Some were just yes or no, and

1 I think there were three actual wordy referenda. Okay.
2 So we had 47 test participants, high school through
3 college degrees, 21 through 30. We wanted people who
4 would perform reasonably well, and we had two different
5 types of voting systems because we wanted to ask the
6 question, do we find errors in this rather homogeneous
7 group. Because then for sure we're going to find all of
8 the errors in -- and do we find most of the errors,
9 because if we can find them with this group, that means
10 we can test with smaller populations because for sure
11 we're going to get the whole spectrum of errors. If
12 they did perfectly, then we have to broaden it. And
13 indeed we got the types of errors that we predicted
14 across the board, all the different kinds of errors that
15 you could possibly see.

16 Does the test detect difference between machines is
17 another way to look at validity, because does the test
18 measure what we want to measure. And we did find that
19 there were differences between the two different types
20 of machines that we used. Are those differences
21 realistic differences? Well, the way to do that is to
22 look at what other kinds of research results are out

1 there and are those similar. And also do expert
2 usability review to say -- and we would have expected to
3 see this. And do our expectations kind of sound -- and
4 did we see errors that we expected, and do they also
5 kind of look like what the general population, the
6 general public would kind of expect to see also and that
7 they hear about. And we did see that.

8 So the question is, were the differences
9 statistically significant for the errors. And they were
10 for these kinds of errors that we expected. Time on
11 task did not show statistical significance. Could be
12 for several reasons because the machines were very
13 similar. If we got some radically different kinds of
14 limitations we might see statistical significance.
15 We're not terribly concerned about that because we do
16 expect to see a lot more variability. And it may be the
17 case that even with a lot more users and different
18 machines you're still going to see such variability that
19 you can't really show statistically significant
20 differences. And time on task also depends a lot on the
21 individual's circumstances and the users, etc.

22 Dan, did you have a question?

1 MR. RIVEST: (Indiscernible) just curious if you
2 went into that. That's people, when they aren't
3 familiar with something the first time they may have
4 more errors. And sometimes when they get more familiar
5 with that particular device and the way of interacting,
6 they adapt to it and they do better. So --

7 MS. LESKOWSKI: Well, kinds of numbers of errors
8 were very similar to what we're seeing in the research
9 literature where they did training and they did a whole
10 lot of other things.

11 MR. RIVEST: I mean, you didn't try like
12 repetitive use to come back and do it again?

13 MS. QUISENBERRY: Was this between or within
14 participant --

15 MS. LESKOWSKI: Between.

16 MS. QUISENBERRY: So each participant only voted on
17 one of the systems?

18 MS. LEWKOWSKI: That's correct.

19 (Speaker not using microphone.)

20 MR. RIVEST: If I voted on a system that I'm
21 familiar with, I might do better than a system I was
22 unfamiliar with. But it doesn't mean that if I went

1 back to that system I was unfamiliar with another time
2 or two which is might what happen in practice -- you
3 might a new machine in, you might have a little
4 difficulty the first election, but after some repetitive
5 elections you might do just as well. In other words, you
6 might be favoring the one that people are more familiar
7 with rather than the new one. That's all I'm saying.

8 MS. LEWKOSKI: Most of our users didn't have a huge
9 amount of experience with these. One was a DRE, one was
10 an optical scan. People know how to fill in bubbles, so
11 they were very different.

12 MR. CHAIRMAN: There's another question.

13 UNIDENTIFIED INDIVIDUAL: I'm curious about the age
14 range. You said 21 to 30. That's our poorest age range
15 for voting, first of all. And you might see different
16 types of errors maybe for an older population.

17 MS. LESKOWSKI: I think we pretty much saw all the
18 kinds of errors you would expect. You might see a worse
19 error rate. You might see more errors with an older
20 population.

21 UNIDENTIFIED INDIVIDUAL: Right.

22 MS. LESKOWSKI: I expect you would.

1 UNIDENTIFIED INDIVIDUAL: I have --

2 MS. LEWKOWSKI: And that's the typical voter --

3 (Multiple speakers, speakers not using microphone.)

4 MS. LESKOWSKI: No, no. I'm going to talk about
5 the next stage.

6 MS. QUISENBERRY: But I have to say I was quite
7 surprised. After 2000 there was a lot of speculation
8 among the political science and human factors testing
9 community about how many people you would need to be
10 able to find a subtle error. And the way this ballot
11 was constructed -- and Sharon, please correct me if I'm
12 wrong, but the way the ballot and the instructions were
13 constructed were to test different types of conditions,
14 like one race has a lot of candidates and they're asked
15 to vote for someone low on the list, for example. And
16 so it's both a little frightening and a little
17 encouraging that with a small group of relatively
18 unchallenged -- of voters who we expect to perform well
19 that we were nonetheless seeing those errors. Because
20 it suggests that the threshold at which you begin to see
21 them is not thousands of people, but dozens of people.

22 MS. LESKOWSKI: Our purpose here, just to

1 (indiscernible) was to test the protocol, not the
2 machine. So the fact that we were able to do this with
3 a small number of users of people that you would expect
4 would do well, and you still measured the range of
5 errors with this ballot, supports the validity of the
6 test protocol.

7 Okay. And most people have what are considered
8 good SUS scores, and in particular they were confident
9 that they voted correctly. And we didn't see any
10 (indiscernible) significant differences between systems.
11 But we expected this to be the case that the important
12 benchmark here is of course did they cast their vote as
13 they intended. If they take a little bit longer one way
14 or the other. Some voters were happier than others.
15 That's not as critical, but with our thinking of using
16 time on task and SUS scores to at least report them and
17 put a lower bound that says, if a system scores worse
18 than this, this system has big problems. And to use
19 those benchmarks in that way.

20 So there's lots of different ways to count errors
21 for the effect of this benchmark. You could just say
22 did they do just the strict binary, did they fill it out

1 correctly in total or not. And a second binary was, did
2 they cast it or not. And you could calculate through
3 the success rate as the number correct over total number
4 of participants. That tends to have very loose
5 confidence intervals, so if we went with binary we'd
6 probably have to test with a lot of users. But for our
7 next experiments, we can calculate the errors any way we
8 want because we'll have the data on how they performed.
9 So we're just sort of outlining, what are the different
10 ways. And we're going to look at these number of errors
11 and our competence rates when we do our statistical
12 analysis and pick what we think is the best way to count
13 errors.

14 So you can count number of errors for each contest,
15 you can look at each possible entry the voter could
16 make. And either they should have voted for this and
17 they didn't. That's an error. Or they should not have
18 voted for this candidate but they did. That's another
19 kind of error. And you can count up all those kinds of
20 errors, or you can count and weight different kinds of
21 errors as more serious than others. You can look at the
22 number of individuals making a particular kind of error.

1 So in general, depending on how you're counting, you
2 count those number of errors and you divide by the
3 number of participants times the voting opportunities
4 per participant if you're not doing binary, and you can
5 get an error rate.

6 MR. RIVEST: Question.

7 MS. LESKOWSKI: Yes.

8 MR. RIVEST: Ron Rivest. Did you have write-in
9 votes on this?

10 MS. LESKOWSKI: Yes, we did.

11 MR. RIVEST: How do you count errors for write-ins?

12 MS. LESKOWSKI: Well, we told them what to write
13 in, so either it was correct or not.

14 (Multiple speakers.)

15 MS. LESKOWSKI: Yes. Well, not necessarily. For
16 DRE it would be typed in.

17 MS. QUISENBERRY: Sharon?

18 MS. LESKOWSKI: Yes.

19 MS. QUISENBERRY: Now, this is me, my opinion here.
20 But it seemed to me that one of the discussion points we
21 might have is whether we want to create a benchmark for
22 errors, or whether there might be three or four

1 different metrics. For instance, surely failure to cast
2 needs to be treated specially and we want to see that
3 number be very, very low. We might want to look at how
4 many different people have errors. That is, is this
5 concentrated in certain parts of the population or
6 others. We might want to look at whether -- a number of
7 people might have a few errors scattered across the
8 ballot, but you also might have a few people who have a
9 lot of errors. And you might want to look at the
10 distribution of errors across the races. So you might
11 have only two errors on any ballot, but they always
12 occurred in two of the tasks on this ballot, which would
13 indicate a problem. And I started thinking about what
14 are the kinds of usability errors that are not about
15 perfect world, but are about indicating the possibility
16 that the usability of this system --

17 (Speakers not using microphone.)

18 MS. QUISENBERRY: -- such that it could change an
19 election. Because that's really what we're after. It's
20 not perfection (indiscernible). And so we might end up
21 wanting to say, we're going to measure it, we're going
22 to measure three or four different aspects of errors,

1 and it has to exceed the threshold in all of them.
2 Because any one of them could indicate a kind of
3 problem. And I've thrown this out to them and they sort
4 of said ah.

5 MS. LESKOWSKI: Well, the problem is you do have to
6 do a statistical analysis. You can't just say okay, we
7 ran this test, that is the number you have to --

8 MS. QUISENBERRY: No, no. We might not have to
9 choose between these benchmarks. We might be able to
10 say, there are two or three of them that, when we look
11 at the data, that are more likely to indicate a kind of
12 problem. And we'd want to see a successful passing of a
13 threshold in all of those.

14 UNIDENTIFIED INDIVIDUAL: Question. To that point,
15 Whitney, are you still talking about test protocol? So
16 you're still just testing, you're not talking about the
17 voting public?

18 MS. QUISENBERRY: No. We're just talking about a
19 test protocol. And I think we should say the same about
20 this test protocol as we would about any test protocol.
21 We just had a discussion about accuracy and perfectly-
22 marked ballots versus real-world ballots. Like any

1 test, we are creating a little bit of a bubble and
2 saying, this is exactly how we'll test. That will not
3 map exactly to any ballot, necessarily any voter,
4 necessarily any precinct, but it's a --

5 MS. LESKOWSKI: Well, we hope it's a prediction.
6 It's a lab test. We hope it does give you a prediction
7 of performance out in the field.

8 MS. QUISENBERRY: Right. And that's why
9 (indiscernible) --

10 MS. LESKOWSKI: A controlled experiment.

11 MS. QUISENBERRY: -- not to go out and say, what are
12 the under vote errors, what are the under vote counts
13 out in the field. It's what are the errors that occur
14 in this test against different systems with
15 appropriately-represented populations.

16 MS. LESKOWSKI: Because that would be the one I
17 would be concerned about the most, is the under votes.
18 Because people don't realize how many under votes there
19 are.

20 UNIDENTIFIED INDIVIDUAL: Yes.

21 MS. QUISENBERRY: And as I understand it, part of
22 the instructions for voting this ballot include

1 instructions to under vote.

2 MS. LESKOWSKI: We tried to be as comprehensive as
3 we could with the different tasks for voting.

4 Okay. All right, so we're currently running some
5 experiments to determine reliability. So test
6 repeatability, can the test results be repeated with the
7 same test administrators and the same kind of
8 participant demographics, same participant. Can it be
9 reproduced, can the test results be reproduced in
10 different geographic regions-- this gets to part of your
11 question -- with different test administrators.

12 So we're planning a series of tests. We're got a
13 larger set of participants. We may go up to 400
14 participants with a mix of age range, female/male,
15 different socioeconomic standards and geographic region.
16 We're going to probably use Virginia, Maryland, D.C.
17 since it's expensive to get test participants across the
18 country. But that actually gives you urban and suburban
19 and rural areas. So that actually does give us a much
20 wider geographic area that we did for the validity
21 tests.

22 We're going to do a series of tests to see if we do

1 get repeatability or reproducibility. And we may need
2 to repeat them with some adjustments, depending on the
3 earlier results. And then we'll also bring in a wider
4 range of commercial systems, because we've got to figure
5 out a good baseline. So from the performance gathered
6 from a wider representative set rather than just two,
7 we'll have to calculate sort of a baseline that most can
8 reach but that is not so low that it's trivial to reach
9 that baseline.

10 Now, let me point out that we are not talking about
11 participants with disabilities here. These are people
12 using not the accessible but the regular voting station.
13 We're assuming that they are typical but they're not
14 designated as having particular disabilities, because
15 one would hope that our baseline for errors would be
16 similar and that we could still use that. But we don't
17 know what kind of variability, what our confidence
18 intervals are going to look like, and what our rates are
19 going to look like because we have to test with those
20 specific users. And that's kind of a next stage of
21 research for the future.

22 MS. QUISENBERRY: And more precisely, if you're

1 using the audio ballot, you're actually using a
2 different (indiscernible).

3 MS. LESKOWSKI: Yes, it's a different system. We
4 certainly would expect the time to be longer with the
5 audio ballot.

6 Any questions? So hopefully we'll get a baseline
7 very soon.

8 MR. CHAIRMAN: What is the timescale?

9 MS. LESKOWSKI: We do want to get something into
10 this version of the VVSG '07 and we hope to complete the
11 experiments by the end of April, beginning of May,
12 somewhere in there. But then we'll have to do some
13 analysis, so we're really pushing.

14 MR. CHAIRMAN: It's tight.

15 MS. LESKOWSKI: It's tight. We're really pushing.

16 MR. WAGNER: David Wagner. I'm not a usability
17 expert, but let me just say this. Sharon, I think that
18 you and NIST and HFP are just doing an absolutely
19 phenomenal job here and thank you. That sounded great.

20 MS. LESKOWSKI: Oh, thank you very much.

21 Okay. Next research steps. We heard this morning
22 from Donetta that they are going to be putting out some

1 guidance on ballot design. When that is finally
2 accepted by the EAC, we hope there's time to look at it
3 and to make sure -- to look it over to see if there's
4 something that we can also reflect in the equipment
5 standard. But we haven't see it yet, so we don't know.

6 We are currently doing some research on additional
7 voting-specific plain language guidance. Not sure if
8 that's going to make it into the standard, but it may be
9 more appropriate in any case to make it as a guidance
10 document for suggestions to the vendor for a wording
11 that works better, and just make it as a good guide.
12 And it's similar for color. We have some color
13 requirements, but really there is research out there
14 that we need to collect up and just say, these color
15 combinations will work, this is based on best practice.

16 We also want to do a small analysis of looking at
17 how and when to use icons and pictures appropriately so
18 that we don't introduce bias, and that they are helpful
19 and not a distraction to those with cognitive
20 disabilities. We're also going to try to be working on
21 again some guidance documents. So we've put into the
22 documentation volume requirement that talks about that

1 the documentation should be usable, and so we thought
2 about how do you write requirements for that. And we
3 weren't sure how to do that, but we said ah, there's a
4 lot of technical communication experts that do this all
5 the time. And one thing they do is write style guides
6 that say, this is a good way to make sure that this
7 documentation is coherent and easy to read and look at.
8 So we said well, we could do a template that in a sense
9 would be a test method for saying, judging whether, as I
10 said, the documentation was usable or not

11 And then I already talked about generating some
12 accessibility performance benchmarks, but we're way off
13 from that.

14 MS. QUISENBERRY: Sharon, thank you. I'd just like
15 to throw in that one of the issues that has come up and
16 that Commissioner Davidson referred to is the question
17 of how and when the standard can be updated. And given
18 the time constraints, I'm particularly concerned that we
19 can add in accessibility benchmarks as they're
20 developed, and that we don't either leave them out
21 entirely because we don't make this deadline, or rush
22 and create bad ones because we're rushing. So that's

1 when we're, it would be the same test protocol, the same
2 basic requirements, but where the benchmark might not be
3 done in time for July. Well, will it be done in time
4 for July is probably a fairer statement. So as whoever
5 the "we" is, as it is considered how this is updated,
6 this is one of the issues I'd like to see kept in mind.

7 MR. CHAIRMAN: It's Bill Jeffrey. I have a
8 question for Sharon and Whitney. On what kind of
9 timescale do you think reasonable benchmarks might be
10 defensible? Is it that it's August as opposed to July,
11 or it's August but of 2011?

12 MS. QUISENBERRY: I think that depend in part on
13 NIST procurement.

14 MR CHAIRMAN: We may have some influence on that.

15 MS. LESKOWSKI: Well, I'm thinking '08, not --

16 MS. QUISENBERRY: Early '08?

17 MS. LESKOWSKI: -- early '08.

18 MR. GANNON: This is Patrick Gannon. I'm not sure
19 if my question ties into the testing as much as the
20 experience from ongoing voting activities, especially
21 with DREs, and how that experience is playing into the
22 development of the VVSG 2007. And I was specifically

1 intrigued with the report that came out last month. I
2 think David was a part of that, the (indiscernible)
3 report on Sarasota. And it seemed to indicate that it
4 wasn't a system issue but it was more how the ballot was
5 actually set up. And the fact that there is now
6 lawsuits and potential bills in Congress and so forth
7 coming out of that, is there something that is already
8 in or will be put into the VVSG that provides guidelines
9 to say, you know, to do (indiscernible) means you lay it
10 out, right?

11 MS. LESKOWSKI: It does appear that there was a
12 usability problem. It's hard to tell for 100% sure, but
13 there was a Dartmouth report also that suggested that.
14 And as I said, there is valid design guidance coming
15 from the EAC that may help, but I haven't seen it yet so
16 I can't speak to that. That's not NIST work. We do
17 have things like, you know, consistency, consistent
18 wording

19 MR. CHAIRMAN: Commissioner Davidson?

20 MS. DAVIDSON: Well, the ballot design, we have a
21 meeting in Kansas City. That is the main purpose for
22 that, probably carrying that will April the 18th. So

1 that will be out at that time. I mean, that will be
2 coming very shortly after that timeframe. But I do have
3 a concern with your moving target. What you're doing is
4 creating for manufacturers a continued change in
5 standards and guidelines. And that is what we're trying
6 to get away from, because that's where our cost comes
7 in. Every time you change something for the
8 manufacturers, if we have a July date and then we come
9 back and we have an August date or we have a next year
10 date, early '08, I don't know how they can meet that.
11 And that just pushes -- that's my opinion, the EAC, but
12 Donetta's.

13 **(END OF AUDIOTAPE 3, SIDE B)**

14 * * * * *

15 **(START OF AUDIOTAPE 4, SIDE A)**

16 MS. QUISENBERRY: -- acceptable benchmark against
17 this test. It doesn't matter whether you're testing a
18 paper ballot with an optical scanner or whether you're
19 testing the audio ballot of a system that, in fact, the
20 time might be different. Because if a ballot has a long
21 referendum on it, that takes longer to read out loud, or
22 if someone can listen with the tempo turned up, that

1 would take less time. But the accuracy- and error-
2 related benchmarks I think should actually be the same
3 across the board, no matter how you vote. So we might
4 actually be able to solve this quite easily that way.

5 MS. LESKOWSKI: Yes. We need still a little
6 experimentation, but that --

7 MS. QUISENBERRY: I would be nice to have --

8 MS. LESKOWSKI: But let me also point out that the
9 benefit of having a performance benchmark with a test
10 protocol is that the vendors can run this themselves
11 once we put all the data out. They can run this. They
12 can use the same protocol for any reporting they do.
13 Also at the state level, back to the Florida ballot
14 question, they can certainly use that test protocol with
15 one of their own ballots just to sort of see what kind
16 of errors are they getting.

17 MS. QUISENBERRY: Yes. The other thing, the
18 example you brought up, before one of the election
19 officials beats me to it, is that there's that narrow
20 line between the ballot layout capabilities of the
21 equipment and actually laying out the ballot. Because
22 there is some human variation in that it's one of the

1 reasons, as I understand it, why we ask the vendors to
2 lay out the ballot for this. There was no question that
3 the test lab didn't do a good job. I know that this
4 project has been going on. I've been waiting with
5 baited breath to hear the results, because I think the
6 group doing it is interesting. Creating some ballot
7 layout guidance for the election officials to use, one
8 of the things that we want to do is look at that when it
9 comes out -- now we know it's April 18th -- that we want
10 to be able to look back at it and say, are there things
11 that they're suggesting as good practice that we could
12 add to or amend our requirement to make sure that the
13 systems support that or even encourage that.

14 UNIDENTIFIED INDIVIDUAL: Well, when you're talk
15 about and when you test it, there's two very different
16 types of devices, like an optical scanner in this hand
17 and a DRE in that hand. Then let the vendors design it
18 any way they want. But if I'm talking about like I'm
19 benchmarking two DREs or two optical scans, then it
20 could very well be that one vendor just is better at
21 laying out the design. The equipment really is no
22 better.

1 MS. QUISENBERRY: But ultimately someone has to lay
2 out that ballot.

3 UNIDENTIFIED INDIVIDUAL: I understand. So
4 wouldn't you want it something more representative of
5 what ballot designs there are coming out of the field to
6 practice for those things?

7 MS. QUISENBERRY: An election official might like
8 to lay out the ballot for the test.

9 UNIDENTIFIED INDIVIDUAL: Well, what do you want,
10 to be able to get some output from these results that
11 might give you feedback on better ways to do ballot
12 design?

13 MS. QUISENBERRY: That's something that the vendors
14 might get out of seeing the results (indiscernible) but
15 it's not the purpose of the test. And I think we need
16 to be very careful about distinguishing between an
17 evaluation that tests the performance of the system
18 under certain circumstances and design guidance back to
19 the vendors.

20 UNIDENTIFIED INDIVIDUAL: Well, let me put it a
21 different way. Suppose you did a test with the same
22 piece of equipment and you handled two different ballot

1 designs and you found you had more variability in the
2 test results that way than from the equipment themselves
3 --

4 MS. QUISENBERRY: I wouldn't be too --

5 UNIDENTIFIED INDIVIDUAL: -- which might be the
6 case.

7 MS. QUISENBERRY: I would be particularly surprised
8 by that result. They're certainly very easy to do bad
9 design and it's hard to do good design, but ultimately
10 we are not testing the ballot design capability of
11 election officials, although we are trying to encourage
12 systems that provide good design. There are also
13 aspects, especially on the DREs, there are aspects of
14 the systems that can't be changed by the election
15 official. And we certainly want to make sure that those
16 do not put them in a situation where they can't design a
17 good ballot, where a usability problem is designed into
18 the system. And I think it is a very difficult area to
19 separate which is which, and I think that I've been very
20 impressed with the process that you've gone through to
21 really sort of sort through the problems very carefully,
22 and to make sure that the test itself is not inducing

1 any more bias than any test inevitably induces. I'm
2 sure that having an atomic clock that we've all agreed
3 on.

4 MR. CHAIRMAN: Ron?

5 MR. RIVEST: Yes, a couple of things. First, just
6 let me second David's compliments here on the work
7 you've been doing. It looks great. I had a minor
8 question, one you've probably thought about but I wanted
9 to hear the answer. It seems when you introduce this
10 general adjustability you introduce some hazards with
11 the voter turning off the audio or changing languages to
12 a language you can't read, or -- I don't know if this is
13 a requirement, for getting reset between voting sessions
14 with different voters. So I just wanted to inquire
15 about that.

16 MS. LESKOWSKI: There's a reset back to --

17 MS. QUISENBERRY: It's in '05.

18 MR. RIVEST: So that's include as part of this, so
19 any voter at any time can reset to a standard state? Is
20 that the requirement?

21 MS. LESKOWSKI: Yes.

22 MS. QUISENBERRY: And furthermore that the machine

1 resets to a standard state between voters so that a
2 voter doesn't come in and find the machine having been
3 adjusted for a previous --

4 UNIDENTIFIED INDIVIDUAL: Or with the screen off or
5 something, or you hear Chinese.

6 MR. CHAIRMAN: I have sort of a comment for the
7 group. I'd actually like to follow up on Commissioner
8 Davidson's comment. You know, I agree with her
9 sentiments and I think it would be difficult for us to
10 put out next iteration guidelines that starts going to
11 the Standards Board, public comment and others with TBDs
12 in there. And if there are possibilities of simply
13 coming up with a consistent way of looking at it, and
14 quite frankly that was a somewhat intuitively compelling
15 concept that you proposed, and while the testing is
16 done, I think what the testing would do at the end would
17 either validate, it could be used to help validate the
18 assumptions. And if there's an egregious error that
19 arises in that, it may be easier to get forgiveness in
20 correcting an egregious error than having to go back
21 through the process entirely.

22 UNIDENTIFIED INDIVIDUAL: That's a well-taken

1 point. I know from being a person who works in the
2 federal system occasionally that procurement and
3 arranging the mechanics by which the work can be done
4 can be a challenge. So I turn to you as the head of
5 NIST to do anything you can to help smooth that process.

6 MR. CHAIRMAN: And I --

7 UNIDENTIFIED INDIVIDUAL: Assuming there are issues
8 there, which --

9 MR. CHAIRMAN: Right. Yes, I will formally task my
10 staff to talk to me immediately after this about
11 whatever issues there may be on that. Commissioner
12 Davidson?

13 MS. DAVIDSON: I have a question that I would like
14 to ask. I didn't see anything on the presentation on a
15 usability on paper ballots. And where it comes from is
16 in the software independence resolution. There was a
17 requirement for paper-based machine and, you know, I
18 seem to think that we need some type of a study to go
19 along with that, or have you already (indiscernible)?

20 UNIDENTIFIED INDIVIDUAL: I'm trying to understand
21 your question. The Opti-Scan was in this validity was -
22 -

1 UNIDENTIFIED INDIVIDUAL: You mean with paper
2 records?

3 UNIDENTIFIED INDIVIDUAL: (Indiscernible) voter
4 verification paper trail, the ability to accurately
5 verify. Is that what you mean?

6 MS. DAVIDSON: Well, you know, just a study on the
7 usability of paper I think is real important, and I just
8 didn't see that at I wasn't sure if it had been
9 discussed or not.

10 MS. QUISENBERRY: Well, I guess there are a couple
11 of ways to look at it. One is that if the usability
12 test encompasses any system that might be certified,
13 that would include manual and marked paper ballots, that
14 would include electronically-marked paper ballots, that
15 would include DREs with a VVPAT on it, that it would
16 include the entire spectrum. So that's one answer.
17 Sorry, I can't see you past the podium and I don't know
18 if that's the question you were trying to ask.

19 MS. DAVIDSON: I just didn't see that type of a
20 study being done to see how people react to the paper,
21 you know. And that was one of my concerns. And I don't
22 know if there is (indiscernible) or anything like that.

1 MS. QUISENBERRY: Oh, no. I mean, specifically
2 looking at what happens when a voter is confronted with
3 a paper audit trail? I don't think we have anything
4 like that on the schedule.

5 MR. WAGNER: David Wagner. It seems to me that, if
6 I understood correctly, what you are trying to
7 accomplish in HFP is to design a protocol that you can
8 use for performing usability testing of any system,
9 whether it has a VVPAT or not. So does that -- I mean,
10 it seems like that isn't the scope of the TGDC to do new
11 research on how to design the best VVPAT or something
12 like that necessarily. Is that correctly --

13 MS. DAVIDSON: Well, you know, when they're having
14 so many difficulties in counting that paper --

15 MR. CHAIRMAN: Oh, oh, oh. Okay.

16 (Multiple speakers.)

17 MS. QUISENBERRY: Usability for election officials
18 of the paper?

19 MS. DAVIDSON: Right. I mean, the election
20 officials are complaining that this is very difficult.
21 And I know there's been some discussion about bar codes,
22 whether they should be used or should not be used, but

1 I'll tell you what, they do it by hand is a disaster.

2 MS. LESKOWSKI: Well, I think the issue for me in
3 trying to design what would the study be, we know
4 there's difficulties hand counting paper. There's no
5 sense in running another study when we have a lot of
6 data that already us that. There are different ways to
7 help with that. So I've had trouble formulating what
8 does it --

9 MS. DAVIDSON: I probably should come to the mic.
10 But, you know, there's certain things that the
11 manufacturers are doing right now. Some are using the
12 bar code. Is that successful? You know, there are some
13 studies there that maybe would create a difference in
14 the minds of the TGDC members if there is something that
15 would be more successful than obviously hand counting
16 that ballot. What kind of ability, can they scan it, or
17 whatever. But there are things out there right now, and
18 so I just wondered if that was being thought of.

19 UNIDENTIFIED INDIVIDUAL: I think that thought is
20 on something we're going to discuss --

21 MS. LESKOWSKI: I think Alan needs to identify who
22 is talking --

1 (Multiple speakers.)

2 MR. SCHUTZER: Dan Schutzer. I think I --

3 MS. LESKOWSKI: We had -- and earlier was Whitney
4 Quisenberry and Donetta Davidson.

5 MR. SCHUTZER: I think we -- well, I don't know if
6 we addressed the whole thing, but I think that borders
7 on something we wanted to discuss tomorrow on the VV&P
8 AT and ways to improve it and research and so forth. So
9 if you want to hold that thought, and if we don't
10 address it at all, then make sure we change what we're
11 talking about to address those issues. But I think that
12 is addressed. Wouldn't you agree, John, that we're
13 starting to border on that a little bit?

14 UNIDENTIFIED INDIVIDUAL: Yes.

15 MR. CHAIRMAN: Ron?

16 MR. RIVEST: Yes, I just wanted -- I think that's a
17 great issue, the usability of the audit. The audit is
18 very important for the integrity of the elections, and
19 so being able to make sure that that's usable for the
20 poll workers is very important. Bar codes is something
21 we've discussed a lot in STS and so on, too. And if you
22 have a bar code, it's something that the voter can't

1 check himself and you've got a real issue as to whether
2 verifying the bar codes is doing what you want in terms
3 of the integrity verification for the election. But
4 there are approaches to working with bar codes and human
5 readable, too. Lots of interesting approaches, and I
6 agree that's a great area for research and further
7 improvement. I'm not sure how much we can put into the
8 standards in the timeframe we've got here, but hand
9 counting in some sense is sort of the gold standard, as
10 sloppy as it is, for looking at paper ballots.

11 MR. CHAIRMAN: Whitney?

12 MS. QUISENBERRY: I'm sorry.

13 MR. CHAIRMAN: So if I can add to what Ron said,
14 let's just take this as a plea for input and suggestions
15 and further comments on this issue, because I think it
16 is a critical one.

17 MS. QUISENBERRY: Yes, I think one of the things
18 that's a real challenge for those of us who are not
19 election officials is that it's sort of easy for us to
20 imagine the usability challenges in voting, because we
21 are voters and because that task it fairly well
22 documented and well understood. I have to say that if

1 security is (indiscernible) what you guys do is at least
2 a magical art. And so help in understanding how to
3 formulate a question that could be answered -- what is
4 it we want to do? Do we want to do time tests of
5 different types of audits, I mean --

6 MS. LESKOWSKI: What's been helpful to me is, is
7 there some requirement that would go one way or the
8 other that we could do some research that would inform
9 us and tell us what that requirement is. And I --

10 MS. QUISENBERRY: So I think we all kind of
11 understand the general problem, but not how to get down
12 to something specific enough that we can charge somebody
13 with doing the research.

14 MS. PURCELL: Helen Purcell. If I could, main
15 thing is that we don't make the errors that we have made
16 in the past. And part of that being we were given
17 certain things that we had to accomplish by the 2006
18 election, both the election officials and in particular
19 the manufacturers, given very little time to do that we
20 were given DREs and in some states we were required with
21 the DREs to have VVPATs. And with that we had things
22 added to a DRE that gave us a big printer that had tape

1 in it that a lot of people couldn't handle, it couldn't
2 be changed. So if we don't get into a scenario of going
3 back to the same thing of giving us something else in a
4 short period of time that we have to do and the
5 manufacturers have to provide us, you know, anything we
6 can do to avoid that.

7 MS. QUISENBERRY: One thing I would point out is
8 that one of the things in here in the VVSG '05 we had
9 requirements for usability --

10 (Off the record.)

11 MS. QUISENBERRY: -- for the generally usability
12 and then three groups of testing with different
13 interfaces for people with disabilities. We've added
14 one in this which is testing with poll workers, so we
15 would actually be doing usability tests of the setup and
16 operations. And I think some of the things that we've
17 heard about poll workers not being able to change the
18 paper well, that those things would come out in that
19 test. So that is the one thing -- it's not a test of
20 the audit, but it is certainly a test of the during-
21 election maintenance type and operation stuff. So we've
22 gotten that piece in. How we get to the next phase,

1 which is the audit, is the one that I find a challenge.

2 MR. GAYLE: I always get concerned when we start
3 talking about what I'll call the third rail for the
4 election administrators. And that's when we start
5 writing standards for them in terms of poll worker
6 conduct and poll worker training. I think that's not
7 our jurisdiction.

8 MS. QUISENBERRY: Absolutely. I was thinking more
9 of things like, can you follow the instructions to open
10 the thing, can someone given a set of instructions that
11 say to change the paper do the following four steps, can
12 they follow those steps. And those are manufacturer's
13 instructions.

14 UNIDENTIFIED INDIVIDUAL: Okay. If I could respond
15 a little bit to Secretary Gayle. The intent is not to
16 come up with any requirements for audits or for how they
17 have to be conducted. The intent really is to look at
18 the paper itself that gets produced in VVPAT systems or
19 OpScan or whatever, and what can be done to that paper
20 or to the format of it, or to the format of, you know,
21 beginning of day/end of day reports so that it is easier
22 for poll workers to handle them, so that it is easier

1 for election officials to use an audit. But absolutely
2 no requirements for how they should be used, it's just
3 basically make it easier to use.

4 MR. CHAIRMAN: Are there any other comments or
5 questions? Sharon, did you get the information that you
6 need out of this session to continue to move forward?

7 MS. LESKOWSKI: Yes, I have.

8 MR. CHAIRMAN: Okay. If there are no other
9 questions or comments, do I hear a motion to adopt the
10 preliminary draft, Human Factors and Privacy Sections
11 consistent with the discussion that we've had? There's
12 been a motion. Is there a second? There's a motion and
13 a second. Is there any objection to unanimous consent?
14 Hearing no objection, this passes by unanimous consent.

15 That actually ends today's discussion almost an
16 hour early. So thank you. Those of you who have to
17 catch the bus to the Metro, you'll have no problems.
18 For the rest of you, we reconvene tomorrow morning at
19 8:30. So at 8:30 back in the same room. Right, Alan?

20 UNIDENTIFIED INDIVIDUAL: Yes.

21 MR. CHAIRMAN: Same room.

22 UNIDENTIFIED INDIVIDUAL: You can leave your stuff

1 here and we'll lock up.

2 MR. CHAIRMAN: Okay. So again, thank you very
3 much. I'd like to thank the EAC Commissioners for
4 attending and providing valuable input. Meeting is
5 adjourned for today.

6 (END OF AUDIOTAPE 4, SIDE A)

7 * * * * *

8 (AUDIOTAPE 4, SIDE B, BLANK)

9 * * * * *

10

11

12

13

14

15

16

17

18

19

20

21

22

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

CERTIFICATE OF AGENCY

I, Carol J. Schwartz, President of Carol J. Thomas Stenotype Reporting Services, Inc., do hereby certify we were authorized to transcribe the submitted cassette tapes, and that thereafter these proceedings were transcribed under our supervision, and I further certify that the forgoing transcription contains a full, true and correct transcription of the cassettes furnished, to the best of our ability.

CAROL J. SCHWARTZ
PRESIDENT